

In The Matter Of:

Donlin Gold Mine EIS Scoping Meeting Aniak

January 15, 2013

*Midnight Sun Court Reporters
511 W. 9th Ave.
Anchorage, AK 99501
Ph. 907-258-7100
Fax 907-276-6727*

To open files, click on the desired file type in bookmark on left.

For quick saving or searching multiple files, click attachments tab (or paperclip) on left.

For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher
(www.adobe.com).