

# **In The Matter Of:**

*Donlin Gold Mine EIS Scoping Meeting  
Emmonak*

---

*March 14, 2013*

---

*Midnight Sun Court Reporters  
511 W. 9th Ave.  
Anchorage, AK 99501  
Ph. 907-258-7100  
Fax 907-276-6727*