

# **In The Matter Of:**

*Donlin Gold Mine EIS Scoping Meeting  
Holy Cross*

---

*March 20, 2013*

---

*Midnight Sun Court Reporters  
511 W. 9th Ave.  
Anchorage, AK 99501  
Ph. 907-258-7100  
Fax 907-276-6727*

To open files, click on the desired file type in bookmark on left.

For quick saving or searching multiple files, click attachments tab (or paperclip) on left.

For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher  
([www.adobe.com](http://www.adobe.com)).