

9.15.02
1 of 2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EVOS GEM PROGRAM
GEM DRAFT PLAN WORKSHOP OPENING

Regal Hotel, Anchorage, Alaska

October 12, 2000

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

MR. FRANK RUE	03
MR. RON BERG	13
DR. VERA ALEXANDER	24
DR. TOM MALONE	49
DR. ROBERT SPIES	67
DR. PHIL MUNDY	87

P R O C E E D I N G S

MS. McCAMMON: I would like to introduce Frank Rue, who is Commissioner of the Alaska Department of Fish and Game. Commissioner Rue is now starting, it's hard to believe, his seventh year on the Trustee Council, and has been very instrumental in getting the Gulf Ecosystem Monitoring underway and ensuring that it does meet the needs of managers. And so I'd like to have Frank come up.

MR. RUE: Thank you, Molly. Good morning. I know you all are interested in getting going and we're almost on schedule, but I'll make sure that Vera gets up here by 9:30 so we can keep going.

Molly called me up and said, well, I'd like to have you talk a little bit about what Fish and Game does and sort of the dilemma -- some of the dilemmas you face and the problems you face and how GEM might help resource managers. And then I saw the program, Resource Management in the 21st Century, that sounds way too grandiose. In fact, I was going to argue whether we were even in the 21st century yet. Isn't there some debate?

Actually I will spend a little time talking about what we face in the 21st century, but I'm going to spend more time talking a little bit about what Fish and Game does, what limits we have as managers in terms of information and how I think GEM could really help the

1 management of our resources. I'd also like to thank you
2 for being here. I mean, what an exciting thing. As Molly
3 mentioned, what other research endowment or foundation
4 brings in this kind of participation in figuring out where
5 we want to go, what our priorities are, what questions we
6 ought to answering. I mean, it's really incredible, it's
7 exciting, and as a Trustee Council member I'm really
8 looking forward to hearing what you all have to say to help
9 us shape the very best research program for the very, very
10 long term.

11 Anyway, back to management. What are we going to
12 see in the management world? Well, we're going to see
13 change. I mean, think about it. Change in technology,
14 we're now measuring things, looking at things from
15 satellites and stuff that 40 years ago we couldn't have
16 imagined. So we have this giant amount of data. We see
17 things happening, but we may not know what they are. I
18 think maybe it was easier 40 years ago when you were lucky
19 if you could count the number of moose out there, much less
20 how many plankton are floating around in the middle of the
21 ocean. You know, sort of incredible in terms of the
22 technology changes that we're seeing and they're just going
23 to get greater. So we're going to have this bombardment of
24 information as managers.

25 The other thing is we're going to see change in

1 economics. Look at what's going on with fisheries, farm
2 fish, lots of things are changing the economics of our
3 resource uses. Those have tremendous effects, not the
4 least of which is I have seen the main protectors of the
5 resource and the environment, those people who use it,
6 whether subsistence or commercial fishermen,
7 sportfishermen, people who use the resource, care a lot
8 about it and tend to want to protect it. If we lose that
9 foundation I think we lose a lot of our energy to protect
10 some of these resources. Look at the Columbia River.

11 We're going to see change in regimes. Most of the
12 folks who are working in the Department of Fish and Game,
13 you know, came in on sort of like the stock market for
14 young people, they've never seen a depression or a big
15 recession. I mean, some of our salmon managers came in
16 when things were world record kind of happenings out there.
17 Now, as managers, we're seeing a different regime and our
18 professional experience doesn't necessarily let us know how
19 to deal with that. So change, there's going to be a lot of
20 it. I've only mentioned a couple of them here.

21 I think the other -- well, let me just mention one
22 other very important thing and I'll dwell on it a little
23 bit. As a department we tend to focus on single-species
24 management, you know, that's just the way of the world.
25 That has got to change, we have got to understand better

1 how management of sockeye in Cook Inlet or wherever affects
2 the larger system. And we know some of that, but I think
3 we need to move more in that direction. We just have to.

4 Sort of the Reader's Digest form of what Fish and
5 Game does, for those of you who don't know, and I know most
6 of you do know, so I'll be very brief. We provide
7 opportunity, we provide sustainable opportunity for people
8 out there to eat food, make a profit. If we aren't
9 providing opportunity, we don't have a job, we don't have a
10 reason for being. So that's just a fundamental principle
11 for us.

12 The tricky part of our job is providing an
13 opportunity within a sustainable framework. You know, it
14 would be easy to just kind of open the gate every spring,
15 might be only for a couple of springs, say, go at it folks,
16 you know, fish or hunt 'em. We have to provide a
17 sustainable opportunity, that gets tough. So we're trying
18 to control the human appetite for resources within these
19 bounds of sustainability, which are tough to define
20 sometimes, in what is really, as I mentioned, a complex
21 world of incomplete knowledge. We don't know what's going
22 on and we don't know all the effects of what we do. Of
23 regimes shifts changing, more efficient methods of fishing.
24 People are not dumb, they figure out lots of ways to get
25 more fish faster at less cost. Heavy changing economics

1 and political pressures. Politics are changing.

2 The other thing that Fish and Game is dealing with
3 is we have not been a growth industry. The legislature has
4 been cutting budgets, we've been getting smaller. And in
5 particularly in some of the areas that we're going to be
6 talking about here where you try and understand the larger
7 implication of your management actions, like limnology,
8 that's one of the parts of department that has gotten very,
9 very minuscule. I see James Brady out here and I hope he's
10 nodding his head up and down. You know, we're not able to
11 answer some really fundamental questions that we should be
12 talking about and that's because we're not a growth
13 industry.

14 Now, we do our job a little differently for
15 different species that we manage. I think most of you are
16 probably familiar with our salmon management program,
17 basically, we don't fish the forecasts. For those of you
18 who are from the Lower 48 may not know that, for salmon we
19 fish -- we may enter the season thinking we're going to
20 have a big run or a small runs, so it may color our first
21 few actions, but basically we fish salmon based on real
22 time information, how big is this run, where's it coming
23 in, are we tracking with our escapement needs for the
24 spawning streams. And we let local managers make those
25 decisions, real time, right now, based on that information.

1 And that's been fundamental to our success. And so any
2 information that helps us make those decisions better is
3 good.

4 Now, herring, crab, those things, we fish to a, you
5 know, biomass or a forecast of abundance and then harvest a
6 percentage of the biomass or we harvest a certain size or
7 sex during a certain season and call it good. So we do
8 have different methods of managing depending on the
9 species.

10 So given the nature of that job and those finite
11 budgets I was talking about, it's not surprising that most
12 of our research and monitoring is focused on single species
13 and questions like how many of these things are out there.
14 You know, how many moose are out there. How many herring
15 are out there, how many sea urchins are out there that we
16 can catch. And then measuring how many fish are spawning,
17 for example, in a particular stream. Measuring who's
18 catching what and where. Important questions when you're
19 managing fisheries. We do look into the life history of
20 some of these species so we better understand what kind of
21 harvest regime we can put on them and still sustain them.
22 But for, like I said, things like limnology, some of our
23 more ecosystem-type research, we don't do much of that,
24 we're mostly counting them, counting who's catching them,
25 making sure we know how many are up there spawning.

1 So we have these databases, which I think will end
2 up being very useful, long-term databases of abundance and
3 things in these larger ecosystem questions which is where
4 we really need help. And this is where I see GEM being a
5 tremendous benefit, potentially, to the Department,
6 answering some of these really tough ecosystem kinds of
7 questions that would give us a handle on things like how
8 much of what's going on out in a fishery or with a
9 particular stock is caused by our management actions, how
10 much is nature, regimes changing? You know, it's really
11 depressing when an elder on the Yukon looks at you and
12 says, what's going on? And you say, I don't know. Are we
13 fishing too hard? Or is it the regime shift? You know,
14 we'd like to be able to answer those questions and direct
15 our management correctly. But, also, be able to tell the
16 public what's going on.

17 The other thing that -- you know, when you look at
18 the issues that are consuming managers right now, you can
19 see those ecosystem kinds of questions are exactly at the
20 root of a lot of the big issues that are consuming us.
21 Steller sea lions, which I'm sure Ron is going to talk
22 about, you know, it's not understanding exactly how that
23 system is working and what's influencing sea lions. Is it
24 harvest, you know, is it lack of capelin, whatever? It's
25 just totally consuming -- totally, I'm exaggerating a

1 little bit, but consuming the management agencies. So this
2 lack of information about how the system works, how the
3 Gulf works, what our actions as managers mean within that
4 larger context, is consuming us. I could list any number
5 of them, Western Alaska chum salmon, same thing. The fact
6 that we don't know a lot of things is consuming our ability
7 as managers and focusing us in very frustrating directions.

8 Basically I think that if GEM can help us answer
9 those questions we'll better be able to direct our
10 management actions. And, don't forget, one of the few
11 things we have control over out there is how much we
12 harvest. I mean, that's something we really have control
13 over, we can't move the Aleutian low over here, over there.
14 We can decide not to catch fish or we can catch more fish
15 or we can catch them at different places. So it's
16 something that we have a lot of control over, and to the
17 extent that you can help us do better at it, we can do the
18 right thing in terms of the overall productivity of the
19 Gulf of Alaska.

20 To close, I would like to emphasize that -- or
21 actually before I close, having this information to
22 communicate to the public what is going on is incredibly
23 important and I kind of alluded to it a minute ago, but we
24 sometimes forget as scientists, as managers, how important
25 it is for the public to be aware of what's going on. I

1 think the fact -- I mean everything from an elder on the
2 Yukon being depressed because we can't tell him why things
3 are turning bad on the Yukon with chums to people going to
4 court to stop our actions, our management actions, because
5 we can't tell them what's going on. I mean, one,
6 understanding ourselves what's going on in the ecosystem
7 and how our management fits into it and, two, being able to
8 explain that are critically important to successful
9 management.

10 So, in closing, I guess as you go about your work
11 the next couple of days, I 'd like you to remember the
12 mission that the Trustee Council set up for GEM, and I'll
13 just read it.

14 It's to sustain a healthy and biologically diverse
15 marine ecosystem in the northern Gulf of Alaska and the
16 human use of marine resources in that ecosystem through
17 greater understanding of how its productivity is influenced
18 by natural changes and human activities. I couldn't have
19 said it better myself, that's pretty good.

20 Also, remember the programmatic goals that we have
21 for GEM.

22 Detect change. We want to be able to detect
23 change;

24 Understand the causes of change;

25 Predict the future status in terms of resources;

1 Inform the public, resource managers, policymakers
2 by providing synthesized information, and;

3 Solve problems faced by resource managers and
4 regulators by developing tools, technology and information.

5 Again, I couldn't have said it better myself.
6 These are the sort of measures that I as a Trustee Council
7 member, and I'm sure my fellow Trustee Council members will
8 be using to look at our overall GEM Plan, to see if we've
9 met those overall program mission and goals. And so I hope
10 you keep them in mind as you're going about the next couple
11 of days.

12 I really thank you for being willing to wrestle
13 with these issues. It's going to be fun, but it's going to
14 be challenging and it will truly help those of us who sit
15 on the Council make our decisions on how we ought to direct
16 the research of this long-term endowment. And I really do
17 look forward to seeing the results that you all come up
18 with over the next couple of days. I wish I could sit
19 through some of the sessions, but unfortunately some of the
20 brush fires I mentioned earlier force me to leave.

21 So thank you all very much, and I look forward to
22 seeing your results.

23 (Applause)

24 MS. McCAMMON: Actually I don't think Frank
25 was too far off in saying that sea lions and some other

1 issues are consuming National Marine Fisheries Service,
2 because our next speaker was actually called to Washington,
3 D.C. to deal with some of those issues. His replacement is
4 actually his Deputy Regional Administrator, Ron Berg,
5 speaking for the National Marine Fisheries Service,
6 certainly one of the most high profile resource agencies in
7 the state and one with a huge number of challenges before
8 us.

9 So, Ron, if you could come up and describe that.

10 MR. BERG: Thanks, Molly. The reason I'm
11 doing this little history lesson here on these time lines
12 is just to kind of indicate some of the history of fishery
13 management we've had here in Alaska, Federal fishery
14 management. It's been an up and down session for 14 years
15 during the Federal fishery management. I'm really going to
16 echo a lot of the things that Frank was talking about,
17 about the problems of single-species management that we do,
18 compared to multi-species, ecosystem management that really
19 has to be done in the future, in the 21st century.

20 A little history lesson here, first of all. A lot
21 of Federal fishery management is done under the authority
22 of the Magnuson-Stevens Fishery Conservation Management
23 Act. That act has been around now for 14 years and it
24 absolutely changed the way that Federal fisheries across
25 the United States is done. It established, for example,

1 the North Pacific Fishery Management Council, which here in
2 this state is really the planner of Federal fisheries
3 management. The National Marine Fisheries Service is
4 really an implementer, helping the North Pacific Council.

5 But the foreign fishery started out, first of all,
6 we had five nations that were involved. We had the former
7 USSR and China and Japan and Poland and the Republic of
8 South Korea. So they started out and, of course, they were
9 fishing under bilaterals even before the act, but then the
10 act was implemented and we were finally managing those
11 under Federal foreign fishing regulations. We opened and
12 closed fisheries and it was also done under single species
13 management. We had the last allocation, however, to
14 foreign nations in the Bering Sea in 1987. In 1988 was the
15 last allocation in the Gulf of Alaska. We had in 1980,
16 however, a joint venture start up which was where U.S.
17 skippers would make deliveries to foreign processors under
18 foreign fishing regulations. It was still not an
19 Americanized fishery. However, those people were really
20 the seed of the U.S. fishery when it came along.

21 In 1989 we had the last allocation in the Gulf to
22 joint ventures and then 1991 the last allocation to joint
23 ventures in the Bering Sea. And so it was really after
24 1991 where the fishery was really Americanized. The
25 observer program, as I've indicated there with the 1990

1 date, was when my job actually became interesting as a
2 manager. Instead of just getting reports from the
3 industry, we finally started getting reports of catches,
4 by-catches, seabird catches, marine mammal interactions
5 from a neutral set of eyes out there. It's been a major
6 program that the United States needed, really, in order to
7 manage a public resource.

8 Going through 1991, we established a very
9 comprehensive recordkeeping and reporting system. And
10 that, in conjunction with that observer program, really
11 gave us the information we needed to manage the fisheries.

12
13 In 1992 we established the -- under the Fisheries
14 Management Plans to the North Pacific Council, the first
15 closed areas around key rookery and haul-out areas for the
16 Steller sea lions. That was a very important part. We've
17 been going that direction ever since and I'll talk a little
18 bit about that more.

19 In 1992 we did a major regulation to rationalize,
20 as we call, the pollock fisheries off Alaska. The pollock
21 fisheries are really the biggest fisheries, you know, we
22 have roughly 2,000,000 tons of groundfish in the Bering Sea
23 and around 400,000, 350,000 tons in the Gulf of Alaska, but
24 really most of that is pollock, so a lot of the pollock
25 fisheries really govern a lot of management.

1 That was replaced in 1998, I don't have this date
2 on here, though, by another act called the American Fishery
3 Act. In October of 1998 Congress passed that act which
4 gave certain allocations of pollock to what we called the
5 offshore processing component as well as the inshore
6 component, as well as community development corridors in
7 Alaska, which is a social program that was planned by the
8 State of Alaska.

9 Further rationalization of the fisheries happened
10 in 1995 with implementation of the IFQ program, Individual
11 Fishing Quotas, for the halibut and sable fish. We no
12 longer had a race for the fish, for those two species,
13 because now all these groups had their own allocations,
14 they can make their own decisions on when to go fish. With
15 respect to by-catch problems and so forth, that often
16 occurs when you have a race for the fish, at least in those
17 fisheries, that tended to go away.

18 One more slide on the history lesson and then I'll
19 talk about issues. Okay, we're going to get back down to
20 the Steller sea lion problem that Frank and Molly were
21 alluding to. In 1997 we took the western stock of Steller
22 sea lions, which was the stock east of 144 degrees
23 longitude and declared them as endangered under the
24 Endangered Species Act. In the eastern part of the range
25 they still had problems there, but they're threatened, not

1 endangered. But ever since we've been involved through the
2 courts with regard to compliance with the Endangered
3 Species Act, as well as compliance with the National
4 Environmental Policy Act.

5 In 1998 we had prepared a biological opinion, which
6 is a term of art, it's a report of what we anticipated what
7 impact would be on the fisheries, the pollock fisheries, on
8 Steller sea lions. We prepared that biological opinion and
9 we also, in 1998, started to work on an Environmental
10 Impact Statement in order to bring us into compliance with
11 NEPA, the National Environmental Policy Act, because we
12 hadn't kept those analyses up to date for roughly 15 years
13 and so we were working on that.

14 Now, a lot of you people in the audience probably
15 are very familiar with NEPA and the pretty exhaustive
16 requirements for doing an Environmental Impact Statement.
17 However, when those were reviewed by the -- through a
18 lawsuit and then adjudicated by the United States Western
19 District Court, both of these documents were found to be
20 inadequate. The biological opinion was found to be
21 inadequate because what we call reasonable, prudent
22 alternatives to protect Steller sea lions, were judged to
23 be not understood by the court and they were remanded back
24 to the agency to further explain. They had no problem with
25 our jeopardy finding about Steller sea lions, but the

1 solution was in question.

2 Furthermore, our Environmental Impact Statement was
3 also found to be inadequate because it wasn't at what we
4 call a programmatic level. In other words, all of the
5 aspects of fisheries management plans from quota setting to
6 enforcement to observer coverage, all the regulations in
7 those plans, the document didn't address those.

8 And then January 25 of this year we -- after we had
9 worked on the biological assessment, that document itself
10 was rejected by the court. The biological opinion, because
11 it itself needed to do a comprehensive look, and so we
12 didn't do a wide enough scope on these documents.

13 So in closure of the history lesson part of this,
14 you know, most of you know through reading of the newspaper
15 accounts that the judge actually ordered the trawl fishing
16 of groundfish off Alaska closed out to 20 miles, it's what
17 we call critical habitat, it's also a term of art under the
18 Endangered Species Act to protect the Steller sea lions.

19 So that's kind of the background of the history,
20 real fast, over the last 14 years, but it does show the
21 problems that resource agencies have with regard to
22 managing stocks, managing the ecosystem. Like Frank was
23 talking about, we have a need to communicate with all the
24 user groups, with all the public, with all the
25 stakeholders, including the environmental groups. We had

1 to do a better job with respect to these documents.

2 We'll still have certain management issues over the
3 years that are still with us and they need to be fine-
4 tuned. We've had gear conflict in the fisheries, that are
5 mostly resolved by regulation. We've had ground
6 preemptions where one user group can preempt another user
7 group by getting his gear on the ground first and so forth.
8 We've had the by-catch of prohibited species, like halibut,
9 salmon and herring and crab, which are important to other
10 fishermen. A lot of those problems are resolved, more and
11 more, by this comprehensive rationalization of fisheries,
12 like having, say, individual fishing quotas or allocation
13 opportunities that have been implemented by the American
14 Fisheries Act.

15 We have subsistence issues, which is new for this
16 agency. The State of Alaska has been involved with
17 subsistence for years, but it's only now that the National
18 Marine Fishery Service is getting into that. The North
19 Pacific Council last week in Sitka came up with a final
20 recommendation for halibut subsistence in Federal waters.
21 And that will be new for us as how to implement it.

22 But when I look at the biggest issues that we have
23 now in the 21st century, and I'm getting back now to these
24 lawsuits that we're involved with, that's why GEM in the
25 future can be instrumental in helping us resolve these.

1 It's how to comply with these, what we call, unapplicable
2 laws, mainly the National Environmental Policy Act and
3 Endangered Species Act. These are major pieces of
4 legislation that when we conduct Federal fisheries we have
5 to have documents that go a long way to describe what's
6 going out there in the ecosystem. We have real good
7 science coming out of the Alaska Fishery Science Center,
8 but the problem is we have voids in that science. We have
9 good information about numbers of animals that are taken in
10 the fisheries, but we don't have real good information on
11 the distribution and abundance of those on a much smaller
12 scale.

13 For example, in critical habitat, which is in place
14 to protect Steller sea lions, we don't have that measuring
15 stick which talks about how much fish is in out to 20
16 miles, compared to the entire Gulf of Alaska. Or, if we
17 knew that, how much is really needed by Steller sea lions.
18 These are the types of information that, to manage Federal
19 fisheries, we need to have. You know, we're managing in
20 conjunction with the Fish and Wildlife Service, by-catches
21 of marine birds. I saw a bird like a short-tailed
22 albatross, which is also endangered and it was caught in
23 the hook and line fisheries off the Alaska. In very small
24 numbers, but nonetheless those are other elements of the
25 ecosystem that need to be looked at.

1 Of course, we manage the great whales, we manage --
2 working with Fish and Wildlife Service, which manages the
3 walrus and birds and otters off of Alaska. These are all
4 other elements of the ecosystem that we need better
5 information on in which to better manage.

6 The lawyers on both sides, including the ones that
7 defend us, as well as those representing the plaintiffs,
8 they estimate that we're probably going to be sued for 10
9 years. Now, that's a real challenge and you can see that
10 over that period of time that organizations like GEM with
11 the types of information that they would produce could
12 yield a significant amount of information for us to be
13 putting into the Environmental Impact Statements, so when
14 we do these documents we're able to address all sides of
15 the issue.

16 So I would say that over the coming years of the
17 21st century, the concept of ecosystem-based management is
18 going to be at the forefront. We need to understand
19 habitat, important habitat as, for example, central fish
20 habitat, which is defined in regulations. We need to
21 understand why that habitat is important to the various
22 elements of the ecosystem. And even though we have
23 commercial catches occurring, well, how do those catches
24 relate back to other elements of the ecosystem? See, what
25 are the impacts, the cascading impacts, all the way down to

1 tube worms? Those are massive problems to try to figure
2 out. It probably takes, a little tongue and cheek here,
3 but maybe I'm not far off, maybe billions of dollars in
4 order to answer questions like that. Nonetheless, these
5 types of information gaps is the types that GEM can
6 contribute to.

7 We certainly are going to have to have a good
8 understanding of -- if we try and protect animals like
9 Steller sea lions and critical parts of the range, well,
10 what are the ecosystem relationships outside of that range
11 and how that might impact animals within the range.

12 So, in closing I would like to say that we
13 certainly understand the challenges that we have in
14 fisheries management in the coming years. We certainly
15 understand the absolute need to communicate with all the
16 stakeholders, whether it's the environment groups or the
17 fishing industry or the State of Alaska. In order to build
18 better partnerships in managing these resources it's going
19 to take a lot of coordination, communication with Congress
20 in order to provide monies for increased surveys, not only
21 the Federal government, but possibly through grants or
22 organizations like GEM. And these will be the challenges,
23 as I see it, coming forward in the 21st century.

24 So thanks very much.

25 (Applause)

1 MS. McCAMMON: Thanks, Ron. In the past
2 few months we've been doing a lot of coordinating and
3 talking to different groups across the country about other
4 kinds of monitoring programs and other models and, as I
5 said earlier, it's amazing the attention that's now being
6 placed upon our nation's oceans and coastlines. There are
7 all kinds of programs out there and whenever in any of
8 these national or international arenas if there is an
9 Alaskan on the committee or a board, in all likelihood,
10 that Alaskan is our next speaker. It is amazing, I don't
11 think she ever is at home because of all the things she's
12 on.

13 Dr. Vera Alexander was born in Budapest, Hungary,
14 but in 1962 she moved to Alaska, she joined the new
15 University of Alaska, Institute of Marine Sciences as its
16 first graduate student and, in fact, she was the first
17 female to be awarded a Ph.D. at the University of Alaska,
18 which I thought was pretty interesting. In 1980 she became
19 Director of the Institute of Marine Science and in 1989
20 Dean of the School of Fisheries and Ocean Sciences. During
21 this period she became involved in national and policy
22 matters working on the evolution of PICES and now serves as
23 one of two U.S. delegates to PICES. In 1995 she was
24 appointed by President Clinton to the Marine Mammal
25 Commission and she's also a member of the Scientific

1 Advisory Committee to NOAA and of the Ocean Research
2 Advisory Panel to the Senior Ocean Leadership Council, as
3 well as a number of other entities and groups that she
4 serves on.

5 And I'd like to welcome Dr. Alexander to talk to us
6 about national and international approaches to important
7 research questions for the north Pacific Ocean.

8 DR. ALEXANDER: I was sort of chuckling to myself
9 when we were talking about hearing about the fact that Phil
10 Mundy couldn't figure out what NOAA was doing and I pose
11 that's because NOAA is doing so much that's it's hard to
12 figure out. Before I say what I'm going to say, I must say
13 that I love NOAA, it's my favorite agency. As you know,
14 now I'm on the Science Advisory Board to Jim Baker and even
15 more important our biggest single source of funding for the
16 School of Fisheries and Ocean Sciences is from NOAA. So
17 what I'm about to say is not to insult NOAA. But as I
18 understand, the acronym stands for No Organization At All.

19 (Laughter)

20 DR. ALEXANDER: And then I was just
21 thinking that Dr. Balsiger was in Washington fighting
22 battles, I thought maybe we should change that, it's now
23 the National Organization for the Advancement of Attorneys.

24 (Laughter)

25 DR. ALEXANDER: So on that light note I'd

1 like to say thank you very much for letting me come and I'm
2 going to take my mission in a couple of ways. First of
3 all, originally I was asked to talk about some research
4 questions for the north Pacific. And then I thought, well,
5 I'd really like to tell you about all these exciting things
6 that are going on. So I'm going to try to do a little of
7 both. I'm going to start out with the question of
8 important research questions, very briefly, just so I can
9 get my oar into -- and everybody's listening. It's a real
10 opportunity, you just don't let a person like me up here.

11 I was just reading an interesting paper, it was a
12 by a guy called Therous and it wasn't by him only, 10
13 authors altogether, and I was impressed by this paper, it
14 dealt with the changes in the Arctic and it took a number
15 of datasets, lots of datasets, all real datasets, not
16 pseudo-datasets, which is what I call modeling datasets,
17 but the real thing. A very conservative group, I mean,
18 really scientists that aren't going to go out on a limb and
19 they sort of said, yeah, we're getting -- we're having
20 global warming. The way they termed this was very
21 different though, it said -- let's see, what do they say
22 here? Let me find it.

23 They said, such changes are not inconsistent with
24 anthropogenic forcing and include general positive phases
25 of north Atlantic, et cetera, et cetera, et cetera. So it

1 was that kind of a conservative approach. But,
2 nevertheless, they did sort of confirm what we've all been
3 talking about, that is that we're undergoing change. And
4 against that background of that change we also have to
5 realize one thing, that as things do change, and that's not
6 just unidirectional, but also cyclical, they're not -- if
7 there's a major change it's not likely that the situation
8 will ever go back to what it was before. We can say of the
9 regime shift in 1976-77, yes, there was a very, very marked
10 one up here.

11 A lot of things changed. I know the Bering Sea
12 better than the Gulf, there was a step change in many ways.
13 And there's been several times since then the systems has
14 tried to revert a little bit, but it can't do it. It just
15 does not quite go back. So how are you going to predict?
16 It's almost impossible. So there's our challenge. It's a
17 grand challenge indeed.

18 And maybe if we have the first illustration,
19 please.

20 So here we have a changing system and what are we
21 going to do about it? I might also point out that when the
22 huge El Nino came along in the late '90s, that really
23 shoved the system a little further over even. And didn't
24 -- you might have expected it to reverse a bit, but it just
25 gave it another little nudge, and so we're in a totally

1 different regime. And one of the things that you see now
2 that that El Nino event brought into the Bering Sea a very
3 visible phenomenon, this blue of cocclipifords that covers
4 the whole shelf and reflects blue from remote sensing
5 pictures. That's unprecedented and it didn't come from the
6 regime shift, it came from the regime shift plus El Nino.

7 So, anyway, we have a tremendous opportunity with
8 the GEM Program and the opportunity is simply a continuing
9 stream of money. And money, as I'm going to say, is not
10 really the only important, but the thing is that there are
11 certain things, and I'm not sure we've figured them out, we
12 can measure, not necessarily expensive, that will give the
13 baseline information needed so we at least know what the
14 system is doing from the physical -- and some of the simply
15 measured biological parameters against which experimental
16 tidal work can be done.

17 The Gulf Ecosystem Monitoring Program is also very
18 timely in putting the name "Monitoring" into it. It would
19 have been sort of brave a few years ago to do that, but
20 right now it's the wave of the future, and it's about time.
21 The tendency to require hypothesis-based research for every
22 research program or project has been good, it's resulted in
23 valid science. It's resulted in science that can be
24 confirmed or proved wrong. But the approach does not
25 ensure that you have the information that you need in the

1 long-term. And so what's happening now is very exciting.
2 There's a wave of enthusiasm towards a more broad view of
3 how you go about doing research.

4 The importance of long time studies has been known
5 and has been recognized in the Gulf of Alaska for quite a
6 while and so I will talk about some of the developing
7 initiatives that can promote and work in with continuing
8 the basic knowledge needed for the Gulf of Alaska.

9 In the National Research Council's publication
10 entitled "Opportunities and Ocean Sciences Challenges on
11 the Horizon" they identify these three broad research
12 areas. I don't think anybody is going to really argue with
13 them, that these are the important things that we need to
14 do here and I think they're consistent with the aims of the
15 GEM Program. However, I would simplify those, and from my
16 own point of view.....

17 And if I may have the next one, please.

18I would simply say that what we really need to
19 know is how changes in climate, on a local and global scale
20 affect the north Pacific Ocean ecosystem and what are the
21 mechanisms? If we can answer that question, we got
22 everything right there. You don't need anything else.
23 Within that you can look at sea lions, you can look at
24 birds, you can look at whatever, but without that kind of
25 broad view you won't get anywhere.

1 I could readily identify a handful of specific
2 knowledge needs. For example, if you ask me what are the
3 most important datasets under this kind of a program for
4 the north Pacific Ocean, I would say mixed layer depth. I
5 would say temperature, salinity and the nutrient content of
6 the surface layer. With those you will have the
7 information to know how the primary productivity is being
8 affected. Possibly, also, how the food chain is working,
9 or how the zooplankton are doing and where they are, and so
10 and so forth.

11 But you also have factors there that affect the
12 migration of Pacific salmon. Because the Pacific salmon
13 also respond to these surface conditions in the Pacific
14 Ocean, in ways that we don't, yet, completely understand.
15 Welch, in some of his work, although this is a little south
16 of our area, has said that with respect to the Pacific
17 Northwest salmon stocks that changes in marine survival
18 appear to be related to sudden shifts in the climate of the
19 ocean and atmosphere. And that these climate changes
20 appear to have been intensifying or worsening since the
21 1960s.

22 So the evidence apparently supports reduced ocean
23 productivity as a primary cause of the differences in
24 growth and survival. And this is just one example.
25 Another from an area closer to home, the Bering Sea, where

1 massive changes in biomass followed the regime shift and El
2 Ninos, there's substantial evidence for change in primary
3 production regimes that the importance of the spring bloom,
4 the allocation to the benthos, all of those things. But
5 possibly also total primary productivity as well.

6 And so while in the Welch case it appears that the
7 cause was development of a nitrate limited ecosystem with
8 increased surface temperatures, a reduced supply of
9 nutrients from below during summer because of low salinity
10 and high temperature on the surface, shallow mixed layer,
11 et cetera, et cetera -- somewhat different mechanisms are
12 obviously operating in the Bering Sea and it appears
13 possible that this is partly related to the flow up onto
14 the shelf from the north Pacific.

15 I'm not proposing that we consider only global
16 warming, but also change in the fluctuations which may or
17 may not be cyclic. Also, of course, there are a myriad of
18 human impacts. Oil spills, as we know, pollution, fishing
19 and so on. Those can't be ignored, but I'm saying that we
20 -- without the most basic understanding of the system, and
21 its responses, we're in no position to manage anything.
22 And certainly not to predict the future. And that's the
23 ultimate goal, of course, is to have some kind of a
24 predictive ability.

25 In considering a response to the overarching

1 question, I told you I'd mention money again.

2 Could you put the next one up, please?

3 I was just recently on a program advisory team --
4 an assessment team, I beg your pardon, to the Oregon Sea
5 Grant Program and while there listened to a presentation by
6 a very fine scientist, John Fryer, who said "I'd rather
7 have a modest level of annual support than have someone
8 throw a \$1,000,000 in my lap and say, spend it now." And
9 I've had some first-hand experience recently on that
10 particular subject, but it's not easy to spend money
11 quickly and do it well. I like this very much. The grand
12 challenge for GEM is not to spend a lot of money quickly,
13 necessarily, but to do the right things now and forever and
14 this is the grand challenge.

15 Technology is on our side, and other people can
16 address that better than I can. There are wonderful,
17 marvelous new tools available from a sensor you can put on
18 the bottom of the ocean and wild and strange places, to
19 very simple well-established moorings and AUVs or
20 autonomous underwater vehicles, which I understand there
21 will be one working on the GLOBEC Program out of Seward,
22 and so and so forth. It's just incredible, we have
23 opportunities, we can do the job, the technology exists and
24 that which doesn't exist is being developed. So it's
25 important to take into account what there is available.

1 Let's go back and talk a little bit about
2 historical perspective. My first experience with the Gulf
3 of Alaska was during the OCSEAP Program, the original
4 baseline monitoring program in preparation for oil and gas
5 exploration and development. We were trying to find
6 baseline information then. Now we know there isn't such a
7 thing. So this is very -- except, perhaps, in pollutants
8 and contaminants you can have baselines, but most
9 conditions are not -- there is no such thing. There's a
10 norm for a particular period of time, perhaps, or an
11 average or a mean condition.

12 So let's have the next one, please.

13 One of the most prescient people here was Dr. Tom
14 Royer. I just wanted to show you this. Dr. Tom Royer was
15 very prescient in 1970s he started making measurements at a
16 station just south of Resurrection Bay. And this was done
17 by ordinary hydrographic station work, shipboard based.
18 Everytime a ship went by there from Seward, where we keep
19 the ship, it would stop and take the station. So from 1970
20 we have this incredible dataset. And what you can see is
21 that the top left-hand panel shows you temperature. And if
22 we think we're going anywhere near back to the cold years
23 of the early '70s, this will make you think again. You can
24 see how incredibly cool, because blue is cool, and you can
25 see the signal of the 1997-1998 El Nino very strongly. And

1 it took about seven months for that to promulgate up into
2 this northern Gulf of Alaskan area. Dr. Royer thinks this
3 is a Kelvin wave, don't ask me to explain.

4 But this kind of dataset is just absolutely
5 essential too. The salinity doesn't show very much
6 freshening in this particular case, although there is some
7 evidence in some years. So that kind of a thing is really
8 important to do.

9 Could we have the next one, please?

10 I might mention another important effort and that
11 was FOSI Project of NOAA in Shellickof Straits, it's been
12 ongoing for a long time and has some long time series. One
13 of the things we managed to do with the North Pacific
14 Marine Research Program in the brief time we had it was to
15 install a couple of buoys in the northern Gulf of Alaska,
16 about 50 miles south of Seward. And these are pretty
17 comprehensive. If you look at the one on the left, that's
18 primarily physical, it's upward and downward looking
19 current meters so that you can estimate current. It's got
20 salinity and temperature meters. This one is the
21 biological one, this one on this side. This also looks at
22 transmitter mitsomitry, fluomitry. Photos make available
23 radiation and has a nitrate meter or two nitrate meters,
24 actually, on it. And we're hoping to be able to keep these
25 going, although, of course, with gaps in the North Pacific

1 Marine Research Program right now, we're sort of shoe
2 stringing it. But again, we're trying to get that long-
3 time series data for the northern Gulf. And hopefully this
4 would coordinate with the NOAA plan moorings under GLOBEC
5 further south and so we'll have a whole line of those.

6 Okay, now, let's talk about some of these programs
7 that are related. And I know I only got about 10 minutes
8 to finish up, so I'll try to be good and stay on schedule.
9 GLOBEC, of course, is an important one.

10 Could I have the next one, please?

11 Oh, I should have mentioned, just showing you this
12 one very quickly, sorry. This is from the Gulf of Alaska,
13 not from -- the is from the Bering Sea and not the Gulf of
14 Alaska, but it does show what you can do with a mooring in
15 terms of following what's happening with the spring bloom.
16 And all I'm trying to show you, if you look at the black
17 parts on each of these panels, that's when the ice was
18 present and it was really cold. And you can see in some
19 years as the ice retreats you have a massive spring bloom
20 and quite a sudden one. Most of that material goes to the
21 bottom and supports a benthic system, but where the ice
22 doesn't stay very long or it doesn't even advance that far,
23 you don't get very much in the way of phytoplankton
24 production. So this doesn't work for the Gulf, but again,
25 it shows what you can do with this kind of time series.

1 And you can get -- here, you got actually five years of
2 data all on one panel and pretty comprehensive.

3 Now, we can have the next, thanks.

4 GLOBEC, I'm sure you all know about. I can't go by
5 without mentioning it. It's perhaps one of the most
6 important programs. It's a term program, as we've heard,
7 it's not going to go on forever but, I again think, that's
8 what you need to have, you need to have a long-term
9 monitoring program with nested shorter projects which
10 address questions.

11 PICES, by the way, has selected as their most
12 important and major research planning activity a GLOBEC
13 project, it's call the four Cs, Climate Change and Caring
14 Capacity, and it's moving into the implementation phase
15 now. It's closely allied to International GLOBEC. And
16 they're looking at two scales, basin and regional scale
17 studies and planning. They've gone through a lot of
18 monitoring workshops, they're worrying about data
19 management, they're worrying about all the things that you
20 have to manage, so it might be worth looking at their
21 documents as you move through this process.

22 By the way, again, with north Pacific marine
23 research monies we were able to fund a PICES effort to get
24 continued plankton recorders moving over the Gulf of Alaska
25 to get more synoptic information and that is underway now

1 and, hopefully, can be continued.

2 Now, there's a surge of recognition of the
3 importance of the oceans around the United States. The
4 Consortium of Oceanographic Research and Education, I
5 think, played a major role in promoting this in Congress.
6 And also making sure that a major effort in the United
7 States was undertaken with the Year of the Ocean in 1998.
8 At that time there was a major conference in Monterey, I
9 think some of you were there, and it was attended by both
10 the President and the Vice President. And at that
11 conference President Clinton announced the commitment by
12 the United States to provide one-third of the proposed
13 4,000 ARGO drifters for the world monitoring of ocean
14 conditions. And this promise is being fulfilled.

15 I don't know whether anybody else was planning to
16 mention the ARGO drifters, but I'll just say I'm really
17 excited about these, they drift around at 2,000 meters and
18 then every 10 days come to the surface and take a salinity
19 temperature profile as they come up and transmit this
20 information and back down they go again until their
21 batteries die. And to get such synoptic information for
22 the world oceans, 4,000 of these things is great, but I
23 don't think it'll do much for our coastal areas. So we've
24 got to worry about coastal monitoring.

25 Now, I'd like to talk a little bit about ocean

1 observing systems, although you'll hear more by the next
2 speaker on this. In a response to a request by Congressman
3 Weldon and James Saxton to John Dalton, Secretary of the
4 Navy and Jim Baker, the Secretary of Commerce for Oceans
5 and Atmosphere, a report was prepared by people sitting in
6 our room here, so how can I talk about it? Anyway, it was
7 toward a U.S. plan for an integrated sustained ocean
8 observing system. This was submitted to Congress in April
9 of 1999. The team was actually headed by Worth Nolin and
10 Tom Malone. And the Ocean Research Advisory Panel to NOAA
11 -- to the National Ocean Research Leadership Council
12 reviewed the report.

13 Could I have the next one, please? Right, you're
14 ahead of me.

15 This tells you a little bit about the organization
16 of the National Ocean Research Leadership Council and its
17 relationship with the Ocean Research Advisory Panel and
18 also with the National Ocean Partnership Program. I'd like
19 to point out in the lower left-hand corner is something
20 oceans.us. This is now considered the U.S. integrated
21 ocean observing system that came out of this initiative and
22 this is being called that.

23 Next, please.

24 And this, very quickly, is the National Ocean
25 Research Leadership Council, it's essentially the heads of

1 most of the agencies that support and conduct ocean
2 research.

3 Next, please. I'm going to keep you hopping now,
4 because I need to move through these.

5 The National Ocean Partnership Program operates by
6 the primary agencies putting money into the pot and an
7 office at Consortium for Oceanographic Research and
8 Education coordinates the RFPs and the funding. And most
9 of the initiatives so far that have been funded have been
10 to try to put the pieces together for this integrated ocean
11 observing system for the U.S. And one of the reasons I
12 mention this here is because it would be very desirable if
13 whatever we develop in Alaska will fit, to some degree at
14 least, into this overall plan and will contribute to it.

15 And the other point is, it is unlikely that given
16 the history that any of the early efforts, pilot efforts,
17 will be put up in Alaska, unless we really clamor or do it
18 ourselves.

19 Next, please.

20 These are the priorities of the National Ocean
21 Partnership Program.

22 Next, please.

23 And here are the plans for the contributions for
24 the next year and also the emergent themes and at the
25 bottom integrated ocean observing and prediction, data

1 management and access and education and outreach.

2 Next, please.

3 Now I'm going to move on to the Census of Marine
4 Life, which is another program that's coming down the pike.
5 Census of Marine Life sounds sort of hoke, I'll be the
6 first to say so, it sounds as though we're going to go out
7 and count everything. In fact, the thing started with
8 Jesse Osabell (ph) who works for the Sloan Foundation
9 proposing to count all the fishes in the sea, but
10 fortunately got himself a steering committee and that
11 steering committee is trying to focus this into something a
12 little more reasonable.

13 But actually the idea is to fill certain gaps on an
14 international basis in our knowledge about the sea and
15 particularly the biodiversity there. And I think it's
16 going quite well. I think it's probably going to result in
17 some useful approaches.

18 Next, please.

19 So here we have it. The concept was developed by
20 the Sloan, there's been lots of workshops, there's been
21 lots of involvement of people in this. And as secretary to
22 establishment of CORE -- you'll see CORE is into everything
23 and the steering committee was established in 1999 and now
24 we are -- because I'm on that steering committee, too.
25 We're drafting a strategy as we speak and should be out

1 with it in a couple of weeks.

2 Next, please.

3 So the idea is to have a program that will examine
4 changes, it'll be international for biological fields and
5 it will identify key questions and support observations and
6 research over the next five, 10 years. This has a
7 timeline, it's not going live forever. It's going to
8 depend on partnerships with agencies, Sloan is not going to
9 be able to support all of the research, that's very clear.
10 And so here, again, is a potential for a partnership with
11 GEM, depending on which way it goes.

12 Next, please.

13 So what is happening now is that the steering
14 committee is working with the Secretariat to develop some
15 pilot projects, to get them going. One of the first ones
16 has been the history of marine animal populations. There's
17 been two workshops on that and that's being looked at as a
18 doable pilot project on a regional basis.

19 The next one is OBIS, Ocean Biological Information
20 System. This is a data management system for data coming
21 out of this program, but it's viewed as one to be developed
22 for a much broader use to be made available to the
23 community. And I don't know how that would fit into
24 anything that GEM wants to do.

25 Next, please.

1 Here's the steering committee. Not very large, but
2 we do a lot of hammering and we seem to be getting
3 somewhere.

4 Next, please.

5 I just put something down here about CORE because I
6 keep mentioning CORE and I'm glad that your briefing books
7 have a section on acronyms because I don't have to go
8 through this defining everything. We use way too many of
9 them.

10 Next, please.

11 So now we're drafting the scientific strategy,
12 convening workshops, supporting the development of the
13 pilot research programs, designing coastal proposals and
14 there is topics, again, through the National Ocean
15 Partnership Program.

16 Next, please.

17 This is the biogeographical information system and
18 the idea is to make it compatible with all existing systems
19 developed for other biological communities and for non-
20 biological oceanographic data. Again, the idea is to
21 manage and govern this under Census of Marine Life, but
22 it's designed to exist after it goes away.

23 Next, please.

24 And I just wanted to point out one pilot project
25 that we are developing now, it's for the Gulf of Alaska and

1 it deals with the salmon issue. And it's to develop and
2 implement new technology for data storage tags and the idea
3 is to better address the at sea stages of the Pacific
4 salmon to find out what's going on. And that's being led
5 by a Dr. Welch of Canada.

6 Next, please. And this seems to be repetitive,
7 let's go on to the next one, sorry.

8 And that's the information on the website. Now, I
9 need to wrap up, in fact, I'm running late, I think. I
10 just wanted to point out one more thing and that is in a
11 memorandum to the Secretary of Commerce dated June the 12th
12 of 2000, President Clinton stated that he was announcing
13 steps to immediately enhance our ocean exploration efforts
14 and develop long-term exploration strategy recommended by
15 you and the rest of the Cabinet, together these actions
16 represent the start of a new era of ocean exploration.

17 He then went on to charge the Secretary to convene
18 a panel of leading ocean explorers, educators and
19 scientists and report back within 120 days of
20 recommendation for a national ocean exploration strategy.
21 He emphasized new partnerships, new tools, involvement of
22 all sectors, education, community, the private sector,
23 government organizations, including opportunities for
24 Federal agencies to provide in-kind support for private
25 ocean exploration initiatives. I love that. The

1 opportunity for Federal agencies to provide support,
2 wonderful.

3 Clearly this is thinking outside the box of our
4 traditional funding agencies, but it was not intended to
5 trivialize scientific exploration, but rather to encourage
6 and revitalize it. So the panel was established under the
7 NOAA Science Advisory Board. Rather intense efforts
8 resulted in a report, which was reviewed by the board last
9 week and which has now been sent, through the Secretary of
10 Commerce, to the President.

11 Could I have the next, please? Oh, we have it
12 already.

13 These are the major recommendations, they're
14 informal yet, because the President hasn't accepted them,
15 but nevertheless the idea is mapping, physical, geological,
16 biological and chemical and archaeological aspects of the
17 ocean. Exploring ocean dynamics, interactions. Developing
18 new census and systems and reaching out in new ways to
19 stakeholders. All very important aspects. All of them,
20 again, applicable to the GEM Program.

21 Is that the last one or is there on more?

22 MS. HENNIGH: That's the last one.

23 DR. ALEXANDER: Wonderful. So here we have
24 the challenge to GEM to work within the context of climate,
25 change and variability, utilization of resources, toxic

1 effects, habitat modification and try to come up with some
2 kind of understanding which will allow for prediction and
3 -- so I'm going to just sum up with saying the valid goal
4 for research in the Gulf of Alaska is to diagnose the state
5 of the ocean at any point in time with an intelligent level
6 of predictive capability. I don't know if that's
7 achievable, but I think with a long-term stream of funding
8 we can get closer than there's ever been hope before. And
9 if we cooperate with all these other things that are going
10 on and leverage and form partnerships and, therefore, make
11 even better use of the money flow, including external from
12 Alaska and the other internal Alaskan potential sources, I
13 think we've got a hope of making real progress for the
14 first time.

15 Thank you.

16 (Applause)

17 MS. McCAMMON: Thank you, Vera. We're
18 going to take a 21-minute break here and we'll reconvene
19 back in this room at 10:30. Thanks.

20 (Off record)

21 (On record)

22 DR. MUNDY: Okay, this is the morning
23 session. My name is Phil Mundy and I'm the Science
24 Coordinator for the Exxon Valdez Oil Spill Trustee Council.
25 And it's my pleasure to introduce our speaker for the

1 second session.

2 About five months ago I was here in Anchorage and I
3 went over to a meeting to learn something about the Kasitna
4 Bay Laboratory and their plans for development in
5 Lower Cook Inlet and I happened to hear a presentation by
6 our speaker on the Global Ocean Observing System. And I
7 was so impressed with their approach to defining a core set
8 of variables and their ambition to detect and understand
9 change on global level in the oceans, but also coastally as
10 well, that I made a point of getting to know the speaker
11 and to getting to know the Global Ocean Observing System
12 program. I think you'll find this to be very instructive
13 and very much supportive of what we're trying to do in the
14 Gulf Ecosystem Management Program.

15 So with that, I'll introduce Dr. Tom Malone, he's
16 Director and Professor of the Horn Point Laboratory at the
17 University of Maryland.

18 (Applause)

19 DR. MALONE: Thank you, Phil, I'll try to
20 live up to that.

21 First of all, welcome to the acronym jungle. I
22 apologize in the beginning for the number of acronyms that
23 I'll use, but I noticed that you have one, too. I kind of
24 like the notion of the GEM and GOOS, although somebody
25 suggested this morning it ought to be the GEM in the GOOS.

1 As I think you all know, the U.S. and the
2 international community is in the process of designing and
3 implementing something called the Global Ocean Observing
4 System. The development of the coastal component of that,
5 which will be clearly an integral part of the whole system,
6 will occur, most likely, by building federations or
7 building a federation of regional systems, much like GEM.
8 And in many respects the development of GEM may become a
9 model for how we go about doing these sorts of things, both
10 nationally and internationally. The point I want to
11 emphasize up front and it'll occur throughout my talk this
12 morning, is that the successful development of GEM will
13 enable the successful development of other regional
14 programs in the United States, such as another wonderful
15 acronym, GoMOOS. I like that a little better than GEM
16 actually, that's the Gulf of Maine Ocean Observing System.
17 And there are other observing systems that are beginning to
18 spin up around the country, in Southern California, the
19 Northern Gulf of Mexico, et cetera. All of these efforts
20 can learn and benefit from each other. It's incredibly
21 important that you coordinate these activities.

22 It's also important that you coordinate with the
23 development of international programs. I put one up here,
24 GODAE, that's the Global Ocean Data Assimilation
25 Experiment. I think ARGO was mentioned a little bit

1 earlier this morning. Basically what this is, is an
2 attempt to -- it's a pilot project, a proof of concept to
3 see if we really can integrate data from different sources
4 and Cite To Data remote sensing to be able to predict
5 weather and climate better. That program is going to be
6 very important to the development of GEM because it gives
7 you the larger scale perspective, which you'll need to
8 understand your local scales, your local changes.

9 My purpose today is to introduce you to the design
10 plan for the coastal component of the Global Ocean
11 Observing System, which I'll refer to as C-GOOS from now
12 on. My hope is that you'll find it useful as you proceed
13 to design and implement GEM.

14 Next slide.

15 My talk is going to be divided into three sections,
16 I'll first talk a little bit about some of the challenges
17 that you present in the program document. Having been
18 involved in working on this for the past couple of years I
19 think that some of these are going to be a little bit more
20 difficult than one might think when you begin to scratch
21 the surface.

22 I'll also talk a little bit about the design plan
23 for Coastal-GOOS and I'll try to talk about those aspects
24 that I think are most relevant to the design and
25 implementation of GEM. And then I'll conclude with

1 recommendations that I think might be useful as you begin
2 to take the next step in developing the design for the
3 program.

4 Next slide.

5 The monitoring and research plan, as you all know,
6 is built around three themes, the one that I will spend the
7 most time addressing and much of what I will say will
8 address, primarily, the coastal process theme. It is this
9 component that will provide the environmental data required
10 to predict fluctuations in living resources and required to
11 manage in an ecosystem context.

12 Next.

13 The GEM science program addresses many important
14 issues that are both a major challenge and critical to the
15 development of the monitoring program. The first one is to
16 build strategic partnerships, and I'll talk a little bit
17 more about what we mean by that in a moment. Second, is
18 working with user groups to define their needs. This is
19 going to be a difficult and ongoing process that needs to
20 be initiated as soon as possible, and I think you already
21 have.

22 Next.

23 There's much reference to the backbone of GEM being
24 a long-term monitoring system. I want to talk a little bit
25 about what the implications of that are in terms of how

1 various different research establishments and mission-
2 oriented agencies function. I was very pleased to see that
3 there discussion about the importance of synergy between
4 research and monitoring, but I think we need to think a
5 little bit about what we mean by research and monitoring,
6 especially when we get in the whole issue of hypothesis
7 driven science.

8 Next.

9 I'll go into these in a little more detail in a
10 moment. You talk about identifying key species and
11 processes. Well, I wonder just how you're going to go
12 about doing that?

13 Next.

14 You talk about managing resources in an ecosystem
15 context. This is a very nice objective, very easy to say
16 and we all know it's important, but I don't think we really
17 know what that means yet.

18 Next.

19 I love the statement in there that we're going to
20 develop a data management system before we make any new
21 measurements. Well, we'll see.

22 (Laughter)

23 DR. MALONE: That's a very important aspect
24 of what you're proposing to do.

25 Is there one more on there? No.

1 Okay. Before I get into the coastal component of
2 GOOS, I'm going to give you just a very, very brief
3 background. For roughly about the last decade there has
4 been an international effort to develop something called
5 the Integrated Global Observing Strategy that was based on
6 three components or modules. The Global Threshold
7 Observing System, GOOS, the Ocean Observing System and the
8 Global Climate Observing System. Internationally, the
9 effort to organize GOOS is being led by the GOOS Steering
10 Committee that is chaired by Worth Nolin who is here. The
11 sponsors of that effort are the Intergovernmental
12 Oceanographic Commission, UNAP, WMO.

13 It has been developing in four modules, the ocean
14 observing panel for climate which is primarily concerned
15 with the ocean climate system. The health of the ocean,
16 HOTO module, the Lunar Resources Module and the Coastal
17 Module. The latter three are in the process of being
18 merged into one effort, which makes a lot of sense.

19 Next.

20 The U.S. effort is being led by the U.S. GOOS
21 Steering Committee, which is chaired by Worth Nolin again,
22 and I co-chair that. As Vera indicated earlier, the plan
23 for a sustained Integrated Ocean Observing System, at least
24 the first steps, went to Congress last April and we're in
25 the process of trying to move that forward.

1 Okay, so what's Coastal-GOOS all about? The goal
2 of the coastal component of GOOS is to create a system that
3 will provide data and information required to sustain and
4 restore coastal ecosystems and limning resources. It's
5 going to sound very familiar. Next. Enable safer, more
6 cost-effective marine operations. Forecast and mitigate
7 the effects of storms. Detect and predict the effects of
8 climate change. And, finally, to protect public health.

9 The basic concept, and I'll come back to this
10 again, is that many of the properties that need to be
11 measured in an observing system are common to all of these,
12 and I'll give you the rationale for that in a moment.

13 Next.

14 Okay, I want to emphasize the point that the
15 Coastal-GOOS and GOOS in general is not another research or
16 monitoring program. This is an effort to better organize
17 ourselves to build, enhance and supplement existing
18 programs to develop a user driven end to end sustained and
19 integrated system. I'm going to address each one of those
20 words in a moment. To provide the data and all as required
21 to predict change in a timely fashion. Key word in there
22 is in a timely fashion. Most of us who are engaged in
23 coastal research, for example, know that if you want to do
24 something like relate population density to nutrients and
25 estuaries or something like that, it's a five-year research

1 project to pull all that data together. We ought to be
2 able to pull that data together in five hours not five
3 years. So timely is a key aspect of this, and I'll come
4 back to that.

5 Okay, next, please.

6 I put this up here primarily to emphasize not just
7 the kinds of things that we need to be detecting but the
8 time scales. The system is going to have to address scales
9 of variability that go all the way from the scale in which
10 weather and storms vary to the scales on which the seasonal
11 anoxia develops, for example, to decadal scale fluctuations
12 in fish stocks, to global climate changes. So we're
13 talking about a very, very broad spectrum of scales of
14 variability that we're going to have to address in this
15 system.

16 Next.

17 Okay, I want to spend a little time addressing six
18 basic questions that always come up when we get into
19 developing or talking about Global Ocean Observing Systems.
20 The first is a global system for coastal ecosystems. We
21 know that most of the changes that are taking place in the
22 coastal zone are local in scale, a harmful ARGO bloom, a
23 hypoxic of that, a fish kill, whatever it is. A storm.
24 Why bother to develop a global system, why bother to
25 develop a national system? Come back to that.

1 Next.

2 What makes you think such a system is possible? We
3 just went through a wide array of things we want to be able
4 to address in this observing system. There's sort of a Don
5 Quixote aspect of this and, again, I'll come back to that.

6 Next.

7 Research programs and observing systems. We have
8 the tendency to muddle these things a little bit and as a
9 person who used to argue that there's no difference between
10 monitoring and research, I'm not going to take a different
11 point of view and I'll tell you why in a minute.

12 Next.

13 Sustained and integrated, what do we mean by these
14 two terms? End to end and user driven, what does that
15 mean? And, last, core variables. This is always a great
16 subject, I'm sure that many of you have gone to workshops
17 where you talked about what are the core variables we have
18 to measure. And you always end up with this endless list
19 of everything you want to measure. Why? Because you get
20 scientists together in these meetings and they want to
21 measure everything they like to measure when they're doing
22 research. There's a difference between research and an
23 observing system, they've got to be interactive, and I'll
24 come back to that.

25 Okay. Let's deal with why a global system. Well,

1 we all know, especially you folks up here who experienced
2 the last El Nino, that large scale variability promulgates
3 some large scales and small scales. If you want to
4 understand the changes that are taking place in your own
5 backyard you've got to look at those changes in the context
6 of large scale variability that's taking place not only in
7 the oceans, but in the atmosphere and on land. So these
8 local changes can't be viewed in isolation.

9 Next.

10 Local and scale global ubiquitous. Many of these
11 problems, many of these changes where the harmful ARGO
12 bloom, coastal (indiscernible - podium rocking) ...cation,
13 whatever, are taking place throughout the world, they occur
14 on local scale, but they're occurring everywhere. I would
15 argue that given the complexity of the systems in which
16 these are taking place we need to do, at least, two things
17 which require a larger scale national and global system.
18 One has to do with temporal coherence, what's the spatial
19 coherence -- the spatial scale on which these changes are
20 temporally coherent? That's a critical question if we want
21 to get at the whole issue of prediction.

22 Another is these systems are complex, we're not
23 going to be able to develop the predictive capability
24 unless we do a comparative analysis of how different systems
25 respond to similar forcings.

1 Next.

2 Finally, and this is looking at it from the other
3 way, basic scale models require coastal boundary
4 conditions. So the people that are worried about the ocean
5 climate system, for example, are going to need to have
6 coastal boundary conditions to address that issue.

7 Okay, next.

8 Okay, there is also good reason to believe that the
9 time is right to initiate a Coastal-Global Ocean Observing
10 System. The technologies required to sense change, to
11 communicate data and to analyze data, computing power, are
12 in place sufficiently enough, have been advanced
13 sufficiently enough, that an ocean observing system is
14 feasible. At least we can initiate it.

15 Next.

16 Finally, we're beginning to develop the theoretical
17 basis for building models that are able to describe
18 variations in ecosystems. Models of ecosystem dynamics. A
19 theory is beginning to emerge and two very important
20 aspects of this, which makes me believe that the system is
21 feasible is that, one, physical processes drive structured
22 marine ecosystems. If we don't get the physics in these
23 ecosystems right, we're not going to get the biology right.

24 The second is that changes in ecosystem health and
25 living resources are related to changes in these processes

1 through a hierarchy of ecological interactions and we are
2 beginning to quantify those interactions and parameterize
3 them in ways that we're not that far away from developing
4 fairly robust models of coastal ecosystems.

5 Next.

6 Then there's this whole issue of research and
7 monitoring. I want to emphasize this for two reasons. We
8 heard a lot about the NOT Programs, for example, that have
9 been funded. These have been funded like research
10 programs. This is critical in how we think about this now,
11 you'll see why in a minute. The current GEM document
12 builds a monitoring system around hypotheses.

13 Next.

14 But I want to distinguish between these two. It's
15 clear that there must be an interaction between monitoring,
16 monitoring is there to detect change, the research is there
17 to explain it. Research is motivated by the desire to
18 discovery, to discover. It is driven by hypotheses, it's
19 experimental and research projects are of finite duration.

20 Next.

21 In contrast, monitoring programs are motivated
22 primarily by the desire to detect and predict change.
23 These are very closely related things, as I think many of
24 you know. If you've ever been involved in weather
25 forecasting, detection is not only a matter of detecting

1 change, detection becomes critical to prediction in the
2 sense of it being able to improve the skill of prediction
3 by being able to detect change in real time. It's driven
4 by societal needs. We've listed some of those a little bit
5 earlier. It's routine and it's sustained.

6 Now, I've talked a lot about -- I've used words
7 like 1 sustained and integrated. Next. The observing
8 system must be sustained for at least two reasons, one, is
9 to capture the scales of variability that characterize
10 those changes of interest. And, two, to provide the
11 continuity required in the data streams and data products.
12 The system must be integrated in a variety of different
13 ways. It must be integrated in the sense that it measure
14 physical chemical and biological properties synoptically in
15 time and space.

16 We're never going to be able to predict variations
17 in the biological properties, whether it's fisheries or
18 weather in these systems if we don't do that. We need to
19 be able to incorporate data from remote and in situ
20 sensing. Remote sensing in order to be able to see the
21 spatial and temporal dimension of change and surface
22 properties, and in situ sensing and measurements to be able
23 to detect the temporal and vertical changes in these
24 properties in order to get four-dimensional representations
25 of change. It also means to be integrated in the sense

1 that if we're ever going to sustain these kinds of systems
2 in terms of how much it's going to cost, the data that this
3 generates must serve many user groups.

4 To date, there are no systems that are both
5 integrated and sustained. Programs like the Numerical
6 Weather Prediction System is sustained, but it's not at all
7 integrated in the context I just talked about. Research
8 programs, like GLOBEC, or GEOHAB, JGOFS, et cetera, are
9 research programs that have a finite duration, that have
10 all the characteristics I just went through. The
11 interaction between these is very important, but the target
12 for the coastal component of GOOS is to be both sustained
13 and integrated.

14 Next.

15 Okay, what do we mean by an end to end system?
16 Linking the user needs to measurements requires a managed
17 two-way flow of data and information among three
18 subsystems. The observing subsystem, which is the
19 measurement end of the system, the data communications and
20 management subsystem and modeling and applications. The
21 communication network and data management subsystem are
22 critical and, arguably, the greatest challenge.

23 Next.

24 This is an attempt to sort of represent the way we
25 operate today. We have several different observing systems

1 or research projects or whatever you want to put over in
2 that category. They generate data that goes into their own
3 data management systems, we manage data on a project by
4 project basis, in general. If a user needs to integrate
5 diverse data from different sources, it takes a lot of
6 time, because you've got to go through and access all these
7 systems. It basically makes it impossible for us to move
8 into a predictive mode the way we're operating today.
9 We've got to design our data management systems so they can
10 be interfaced in ways that will allow the rapid access to
11 data, diverse data from disparate sources.

12 Next.

13 This is the goal and this is very easy to say. I'm
14 not an expert on data management, but what we need to have
15 is a data management system for the observing system that
16 interfaces all these other systems in ways that any user
17 can get all the data that they need or process data in the
18 ways that they need in what amounts to one-stop shopping.

19 Okay, the last issue I want to talk about in that
20 list are core variables. I put these up here, this is the
21 usual list of issues that need to be addressed in the
22 coastal zone, all the way from issues -- the problems of
23 protecting and predicting sea state to secular trends in
24 temperature and salinity that might be related to global
25 climate change. The point of this is to talk a little bit

1 about how one goes about defining core variables. You
2 don't get a bunch of scientists in a room, like me, and
3 have them list what they think is important in a system.
4 You've got to start with what the issue is you're trying to
5 address. Ideally, you start with the user group you're
6 going to provide the data to.

7 And then you ask the question, what needs to be --
8 what kinds of models are going to be needed to be able to
9 generate the information products, or the data that that
10 particular user group or that is required to address that
11 particular issue. And then you work back and say, what
12 kind of data is required to feed those models? Then you
13 define the core variables.

14 The way we try to do this in the Coastal-GOOS
15 panel is we invited a bunch of experts in to one of our
16 meetings and we said, okay, let's take this list of issues,
17 for each one of these issues, independently working by
18 yourself, identify what variables need to be measured to
19 detect and predict change in that particular issue. What
20 do you need to measure in order to be able detect and
21 change -- and to be able to detect changes in sea state and
22 what do you need to measure to be able predict changes in
23 sea state? The same thing for each one of these issues.
24 Then we basically used a matrix analysis to answer the
25 question what is the minimum number of variables that we

1 can measure to address a maximum number of issues?

2 Next.

3 And this is what we came up with. And, again, this
4 list is not particularly interesting in and of itself, via
5 that process we came up with meteorological variables,
6 physical variables, chemical variables and biological
7 variables that should be measured and were also feasible to
8 measure as part of an observing system.

9 We then showed, and I won't show that here, but we
10 had six or seven different ecosystems type models that we
11 were able to show given this kind of information. We could
12 make predictions if we had the theory right on a number of
13 issues that relate to ecosystem health and sustainability
14 of living marine resources.

15 Next.

16 Okay. I want to conclude with a few thoughts on
17 what I think are particularly important things that I think
18 need to be addressed as you begin to develop GEM.

19 The first has to do with coordination and
20 collaboration. In the report in the program document you
21 address these issues, you talk about working with user
22 groups, building strategic partnerships, developing data
23 management systems first, et cetera.

24 Next.

25 I think we need to elaborate on these somewhat, and

1 I'm not sure, but I think that there may be some tension
2 here. In GOOS we talk about involving stakeholders from
3 the beginning, and this is not going to be an easy process.
4 And what we mean by that is you involve all of the
5 important stakeholders in the design, in the implementation
6 and in the operation of the observing system. I don't see
7 any other way that we can ensure the observing system
8 develops the kind of data products that are going to
9 required without doing that.

10 We talk about coordinating with other regional and
11 global programs. This is not just a matter -- when you
12 talk about strategic partnerships, we're not just talking
13 about making more effective use of existing infrastructure
14 programs and expertise in the Gulf of Alaska. We're also
15 talking about the kinds of partnerships that are going to
16 be needed to develop this larger scale system that we refer
17 to as GOOS.

18 Next.

19 Okay. When I first made this slide I had long-term
20 monitoring up there instead of an operation system. I
21 think when you talk about long-term monitoring, you're
22 talking about an operational system. And here are some of
23 the characteristics, they have very important implications
24 to this whole issue of science or research and monitoring.
25 Number one, the measurements have to be routine. Access to

1 the data has to be timely and free.

2 Next.

3 As I've said before, it's got to be an integrated
4 system, multi-disciplinary with appropriate data syntheses
5 serving many different user groups. And it's got to be
6 sustained. Now, these two words, routine and sustained,
7 have very important implications. You're talking about
8 guaranteed data streams and products. If any of you are in
9 a research mode, and unfortunately there are too many of us
10 that are trying to do this, have tried to maintain
11 moorings, for example, that guarantee data streams, that
12 when the data stream goes down all hell breaks loose, it's
13 not an easy thing. The research community is not organized
14 to do this kind of stuff. We haven't figured out how to
15 transition research into an operational system very well.

16 Next.

17 Okay. This whole research monitoring interaction
18 and applications and that sort of thing. Again, it's clear
19 from the GEM program that fostering synergy between
20 research and monitoring is a priority. But as I said
21 earlier on, what does it mean in terms of monitoring key
22 species and key processes? In terms of predicting changes
23 in the status and trends of living marine resources? Of
24 managing resources in the ecosystem context? These are
25 great objectives, but how should an observing system be

1 designed to achieve them? We need to make sure, and here
2 there's been a lot of debate about this, but when we talk
3 about an observing system, we're not just talking about a
4 monitoring system, we're talking about something that
5 incorporates this whole interaction into it and that's an
6 important thing to consider.

7 Okay, next. And I'm going to conclude with this.

8 This is another wonderful acronym, it took me about
9 a year to figure out what an OSSE is. And OSSE is an
10 Observing System Simulation Experiment which is code for
11 the kind of modeling that one does when you look at the
12 effects of aggregation, for example, on model outlets.
13 What difference does it make if I measure X number -- you
14 know, X, Y and Z or if I measured A, B and C? If I
15 aggregate so I only have six departments compartments
16 instead of 50 compartments in terms of the output? If I
17 have a certain sampling scheme that has a certain spatial
18 resolution and certain temporal resolution if I reduce
19 that, how does that affect the output? These are basically
20 model experiments run to answer those kinds of questions.

21 Now, I would argue that given the emphasis of
22 things like monitoring key species and key processes, you
23 need to engage in this kind of thing. I described earlier
24 the Coast-GOOS process by which we identified core
25 variables. This kind of activity, running OSSEs, need to

1 be incorporated in that process. And I think that in
2 systems like the Gulf of Alaska you got enough information
3 that you can begin to start asking those questions.

4 The last point I'd make in terms of OSSEs has to do
5 with cost. Given the complexity of coastal ecosystems and
6 the cost of observing them we're going to have to engage in
7 this kind of a process in order to make sure that our
8 systems are cost-effective. It's been pointed out, for
9 example, one of the parallels that we -- comparisons that
10 we make with developing an ocean observing system is with
11 weather. We'll weather watch and the whole system is in
12 place to predict weather. It's been pointed out that OSSEs
13 have never been run to decide where to place the
14 meteorological stations upon which the data is based.
15 Usually it's determined by where airports are or something
16 like that.

17 Well, I would argue that, number one, the value of
18 getting good weather forecasts and the costs of generating
19 it are completely different than the kinds of issues that
20 we're having to address here.

21 Next.

22 I couldn't resist, I love this diagram. In fact, I
23 used this in the design plan for Coastal-GOOS and I put
24 this up here to illustrate something that I think is very
25 important, and this gets us back to the coastal processes

1 theme to close my talk this morning. And that has to do
2 with, as I read that document, there's a hypothesis in
3 there that says the fluctuations we're seeing are related
4 to the PDO, to the Pacific Decadal Oscillation index. Now,
5 that may be true, but you're never going to develop a
6 predictive capability that predicts status and trends of
7 these resources or manage them in the ecosystem context
8 just by focusing in on the PDO. You're going to have to
9 measure other environmental variables.

10 I strongly recommend, in closing, that you
11 establish an objective process to identify those variables
12 that must be measured to improve the skill of predictions
13 in terms of what are the key processes, what are the key
14 species. The key species aren't necessarily always going
15 to be species that we fish.

16 Finally, and I jotted this down in response to
17 something somebody said earlier today, of course this means
18 that you must focus the goals of GEM much more than they
19 are now. It's going to be very important, especially in
20 terms of achieving some early successes over the next five
21 years, to focus those goals.

22 Thank you.

23 (Applause)

24 DR. MUNDY: We've got to get the bongo
25 effect out of the podium here. Oh, you know what it is,

1 it's the floor.

2 MS. McCAMMON: It's the floor.

3 DR. MUNDY: It's the floor, so my advice to
4 the next speaker is once you take your position, don't
5 move.

6 (Laughter)

7 DR. MUNDY: Okay. Many of you have worked
8 with our next speaker over the last 11 years since the oil
9 spill. Bob Spies has been Chief Scientist of the peer
10 review process during restoration and it's been my pleasure
11 and privilege to work with him during that time. And I've
12 always been amazed at Bob's ability to move from bird
13 projects to fish projects to mammal projects and back to
14 bird projects with very much ease in doing it. And Bob has
15 one more trick to perform here and that is to show us how
16 to move from the Restoration Program into the Gulf
17 Ecosystem Monitoring Program with a similar ease.

18 So with that, I'll introduce Bob Spies.

19 (Applause)

20 DR. SPIES: Thanks, Phil. Sounds a bit
21 like a creaking ship up here as you kind of shift around
22 your weight, but I've had 11 years of standing still as a
23 target, so maybe it'll work.

24 (Laughter)

25 DR. SPIES: Thanks for coming, everybody.

1 We're at an extremely exciting time, I think, for not only
2 the nation as a whole, but particularly Alaska. There's
3 some emerging opportunities in terms of institutions, in
4 terms of peoples' awareness of the importance of measuring
5 change in the ocean that are converging, in a way,
6 politically and with the public and with the scientific
7 community that's extremely exciting. I think it's a very
8 exciting time to be a marine scientist and to be involved
9 in this kind of a program.

10 And as I look at all the different things that are
11 going on on a national level, I still go back to some of
12 the things that Molly said, we're so lucky to have this
13 endowment set up and to have a state and structure which is
14 somewhat simple compared to the national picture in which I
15 think we can really accomplish some of these goals and make
16 some great headway. So it's good to be here and it's good
17 to be a part of this effort and thank you for coming.

18 I don't think Tom Malone has disowned this
19 statement, but hypothesis driven research functions best
20 within the contexts of observations generated by long-term
21 monitoring. And that's kind of what we're about here. And
22 the bridge between the Restoration Program and GEM has
23 really been through a development of conceptual foundations
24 about how the system works. And I want to describe, you
25 know, kind of the evolution scientifically or technically

1 in thinking about these sort of things. And we've gone out
2 on a limb in putting this conceptual model out. And I'll
3 talk more about that and alternative models and how one
4 must keep a broad perspective and not be too focused on one
5 explanation of the world and to be adaptive, but that's
6 another topic for later.

7 What we're really asking you to do is to look at
8 what we're proposing here and how it flows down through the
9 different elements of the program, what those elements
10 should be and how all that should be stuck together so it's
11 a logical progression. Are there any major omissions in
12 the elements of the conceptual foundation? Are there other
13 ways to look at it? I would love to see an alternative
14 model developed or some things that we could elaborate and
15 talk about in terms of other things so that we can design
16 the measurements that we take to address any or most -- as
17 many possible explanations that we can think of in terms of
18 how the system operates.

19 And, secondly, we're asking you to -- if there are
20 any major physical and biological processes that needed to
21 be incorporated into our thinking here that aren't yet
22 incorporated or not fully represented the way they should
23 be.

24 Next slide.

25 Just some highlights of the Restoration Program

1 that led us to some of these ideas about changes in the
2 ecosystem. I think many of the lawyers -- I started out in
3 1989, they were drawing straight lines on the board and
4 talking about the baseline and the system and how the spill
5 affected that baseline, we dipped below it and now we got
6 to return to it. And even at that time, of course, we knew
7 that things changed, but not to the extent that we
8 developed an understanding that's been emerging,
9 particularly in the north Pacific over the last eight to 10
10 years on the nature of that change and the relationship
11 between climate and other major forcing factors and
12 biological change.

13 So things we've learned, for instance, just a
14 couple of examples. The spring plankton blooms were more
15 intense in Prince William Sound in the early '80s than the
16 early '90s. Evelyn has looked at a lot of the settled
17 plankton blooms from the hatchery programs and started
18 relating that to what the herring have to eat in Prince
19 William Sound. So there's kind of a decadal change that's
20 going on. That's one example that came out of the
21 Restoration Program.

22 We know that looking at the seabirds that were in
23 Prince William Sound and also in middle Cook Inlet or
24 Chisik Island, that many populations of diving seabirds
25 have been decreasing in coastal systems. In Prince William

1 Sound more than 50 percent and there have been very
2 precipitous drops at Chisik Island as well.

3 Standing stocks of plankton and neckton in the Gulf
4 of Alaska, we know from the work Rick Brodure that
5 went on independently of the Restoration Program, of
6 course, but again in the north Pacific and very relevant to
7 the questions that we know that the standing stocks of
8 plankton and neckton were very much substantially higher in
9 the last 20 years than they were in comparison to what was
10 out there in the '60s.

11 And, finally, an example that harbor seals we knew
12 were decreasing quite precipitously during the 1980s in
13 Prince William Sound. And we can go on and talk about all
14 kind of other changes that we became aware of, but the
15 thing is that scientifically, in terms of how we understood
16 and the models that we had in our mind of the system began
17 to evolved into appreciation of the profound nature of some
18 of these changes. And it became obvious that we needed to
19 focus on these sorts of the things as we move forward into
20 understanding marine resources in the long term.

21 Next slide.

22 This is an aerial radar image of the Gulf of Alaska
23 and I just put it up here to show you some of the main
24 features that we -- or some of the concepts we're talking
25 about. Of course, this for Prince William Sound where a

1 lot of the spill work was carried out and along the Kenai
2 Peninsula and then in the Cook Inlet and a little bit in
3 Kodiak and along the Alaska Peninsula. But we're dealing
4 with a system here in which we have a continental shelf,
5 you can see quite clearly here, quite broad through the
6 Gulf of Alaska as it is in the Bering Sea and then narrows
7 down quite a bit out toward past Kodiak Island, the
8 Aleutian Chain. We can see sea mounts in the abyssal plain
9 here that's quite deep in the Aleutian Trench and so forth.

10 And to overlay, next slide, some of the main
11 oceanographic features here -- most of you are familiar
12 with this, but it does help just to briefly mention. We're
13 looking at a gyre system, a subarctic gyre, which the north
14 Pacific drift here is partitioned in to the California
15 current and the Alaska current somewhere off the coast of
16 British Columbia. The Alaska current is very broad over
17 the shelf here, as is the shelf in this part of the Gulf.
18 And we've got various kinds of eddies that occur and then
19 the whole thing narrows and becomes kind of a stream right,
20 more or less, at the shelf break as it moves out past the
21 Aleutian Islands.

22 And, of course, we have the Alaska Coastal Current,
23 which is an extremely important feature affecting our
24 coastal environment that is a buoyant eastern boundary
25 current and it gathers its strength by the presence of

1 freshwater that flows into the system all the way around
2 the system. Tom Royer has worked on this system for years
3 and Tom Weingartner and Jia Wang are both actively working
4 on this system in various aspects, including some broad-
5 based models now. A very important part of the
6 circulation.

7 Next slide.

8 Of course, you're all familiar with this sort of
9 phenomena by now and we've been talking about it for
10 several years and it's the link between climate and
11 oceanography in the northern Gulf of Alaska. There's
12 certainly lots of other things going on, but one of the
13 predominant influences is the position of this low pressure
14 system in winter and when it's out here further out into
15 the southwestern part of the Gulf of Alaska, into the north
16 Pacific we tend to get this west wind drift splinting and
17 more of it going to the California current than the Alaska
18 currently. Conversely, in winters where the average low
19 pressure system is lower and more intensely up into the
20 northeast Gulf of Alaska we get a stronger gyre here in the
21 Gulf of Alaska and more of the west wind drift goes up in
22 here as opposed to the California current.

23 There's a lot more going on in the PDO, and you can
24 see in the next slide that, in fact, we're getting some
25 more sophisticated determinations of it's not just one

1 regime or another, but we have a continuum of different
2 effects out there. If we look at the green line, this is
3 something like the PDO, it's called the North Pacific
4 Index, and it fluctuates. And this is all based on the
5 atmospheric pressure at sea level, but Minobe has then
6 decomposed the signal mathematically into a multi-decadal
7 signal, here in red, by band pass filtering the data. And
8 band pass filtering it a different way gives you this 50-
9 year kind of oscillations going on.

10 And what these different oscillations are doing
11 here and relative to one another and additive and
12 subtractive effects and so forth, are probably making us
13 think in a lot more sophisticated terms about what these
14 regimes really are, and developing information about
15 feedback loops and the fact that these changes are very
16 quickly and there may be some positive feedback loop versus
17 with a positive MPO between water temperature and
18 evaporation and wind and so forth, that maybe these systems
19 get stuck in certain modes for periods of times until
20 something happens rapidly, as we saw in 1977.

21 Next slide.

22 So we're dealing with these populations that are
23 changing quite a bit and one thing that struck me really
24 quite spectacularly, as people, like Frances Wier,
25 and so forth were describing how during a positive PDO that

1 salmon populations were just doing hunky-dory and there was
2 a lot of standing stock of zooplankton and phytoplankton in
3 the Gulf of Alaska. At the same time we were looking at
4 what was going on in EVOS and we realized that there had
5 been precipitous drops in these many inshore resources over
6 the last 20 years, starting probably somewhere in the '70s,
7 although baseline data, our pre-spill data was so patchy
8 that it was difficult to tell exactly, in many cases, the
9 nature of those drops.

10 But offshore we had increasing salmon, perhaps cod
11 and pollock. Sea otters are possibly a separate subject
12 here. There's certainly offshore plankton. Inshore we had
13 decreased in herring in Prince William Sound, harbor seals,
14 inshore sea lions, some seabirds, in many cases very rapid
15 drops, red king crab and shrimp. And so we've got
16 something going on, generally looks like inshore things are
17 going down when things are going up offshore. That's a
18 very simple way of looking at the system, but certainly
19 it's going to be a feature.

20 Next slide.

21 And so as we moved into the planning for GEM,
22 realizing that we had to have some model of the way the
23 world works in order to proceed, we started to put these
24 things together and came up with the kind of things that
25 you see here and it's been in both the GEM Program

1 description and also in -- it's going to be part of the GEM
2 Program, but it can be changed, it can be added to.
3 Alternative models can be made, so we need your thinking
4 about these sorts of things and we must also, of course,
5 keep in our minds, as I said earlier, that we want to
6 gather data that doesn't just relate to this particular
7 view of world, but can inform us down the road of what
8 other possible views of the way that system out there may
9 be working.

10 But it starts with this wintertime atmospheric
11 pressure that I alluded to earlier being lower and the
12 positive PDO. This is just the physics that we're talking
13 about here. And with increased wind stress, and this
14 actually goes into the paper, into the screen and that
15 results in Echman Transport being increased inshore, a
16 deeper mixed layer in the summertime and we now have pretty
17 good evidence that upwelling also in the central Gulf has
18 increased.

19 Looking at the upwelling anomalies that have been
20 plotted for the Gulf of Alaska, it looks like, at least,
21 during the early years that the upwelling was not as strong
22 and we don't have many measurements, that I'm aware of,
23 perhaps Professor Nadu or some other people at the
24 University of Alaska may know this but we think that
25 there's increased downwelling and the implications of that

1 is maybe more biological material is reaching the bottom.

2 We know, of course, as we move onto the shelf break
3 we've got a couple of fronts. There's a front right at the
4 shelf break, usually, and these things are not there as
5 lines in the sand, but they move around, but often there's
6 a good front at the shelf break. Another front inshore,
7 along the shelf somewhere, with the Alaska coastal current
8 is freshwater boundary current that's moving along the
9 coast and being pushed up against the coast by the wind.
10 It breaks with the outer shelf water. And, of course,
11 during this positive PDO period we have more warmer water
12 that's being carried across the Pacific, there's more
13 precipitation runoff, so we've got warmer conditions in the
14 water and precipitation and we're posing maybe that we're
15 getting more contamination in the system because of that
16 sort of a phenomenon.

17 Next slide.

18 What might be the implications of such physical
19 phenomenon? Well, we know that there's higher standing
20 stocks of plankton and nekton and so it seems reasonable
21 to hypothesize that production out there in the central
22 Gulf of Alaska may be higher. We don't have all that many
23 measurements of primary and secondary productivity, per se,
24 just more standing stock information, so that probably
25 needs to be tested in a more definitive way. It's actually

1 very surprising the lack of measurements of primary
2 productivity in any part of the Gulf of Alaska.

3 And we think, then, because of that there's more
4 forage, we know there's more nektons certainly out there
5 and salmon production is very -- and salmon survival is
6 very high and they're feeding in this offshore area around
7 the shelf break, at least later in their life history. And
8 then inshore because of what we think is increasing
9 stratification because of warmer temperatures and more
10 freshwater the fact that we're proposing that plankton and
11 nekton production generally is lower in the inshore areas.
12 And we're getting more terrestrial plant carbon being moved
13 off, perhaps. And because of larger salmon runs perhaps
14 we're moving more marine nitrogen back into the terrestrial
15 systems.

16 Next slide.

17 And I won't go through this in a great deal of
18 detail, but this is kind of the opposite picture for the
19 negative PDO index. And decreased atmospheric -- increased
20 atmospheric pressure in the wintertime, decreased wind
21 stress, decreased Ekman Transport, increased upwelling
22 onto the shelf, decreased downwelling. A summer mix layer
23 that's shallower and less developed and less robust Alaska
24 coastal current on the shelf here.

25 And then the next slide.

1 And we're proposing, then, that there's lower
2 planktonic and nektonic production, more inshore transport
3 of materials because of nutrients and carbon because of the
4 increased upwelling and then higher planktonic production
5 because of less stratification due to the conditions in the
6 Alaska coastal current being relatively more saline and a
7 little cooler.

8 So that's kind of the general picture. Now, it's a
9 pretty simple in terms if you look at the satellite photo
10 of the Gulf of Alaska because there's a -- spatially, as
11 you move along the shelf and the shelf break there's a lot
12 of different things going on in terms of geomorphology.
13 We've got, you know, good evidence that there's tremendous
14 mixing in the entrance of Cook Inlet, that stratification
15 probably doesn't exist much there in the summer at all, as
16 opposed to Prince William Sound. So these are kinds of
17 regional differences that we need to think about and
18 perhaps elaborate on.

19 Next slide.

20 Now, what we've tried to do is as a result of this
21 conceptual model is to try to elaborate some general
22 questions, and these have not been fully developed and put
23 in your binder. There are some things in there, but we
24 very much tend to focus more on these questions to give you
25 a flavor of the kind of direction we'd like to see the

1 monitoring and research go in terms of what it's trying to
2 find out. And so this is just to remind you that we're
3 dealing with oceanography for the first set of questions.

4 Next slide.

5 Questions like, and these are just examples. What
6 is the annual, interannual and interdecadal variability and
7 the position and strength of the Alaska coastal current?
8 What is the annual, interannual and interdecadal
9 variability in the Alaska current and Alaska stream? How
10 is downwelling of onshore driven water and upwelling of
11 deep water affected by changes in wind and coastal
12 precipitation during different climatic regimes? Does
13 freshwater induce stratification, and when induced, does
14 mixing on the continental shelf change significantly under
15 various climatic regimes? Next slide.

16 This is just to remind me, this is a satellite view
17 taken this spring in the Gulf of Alaska to remind me that
18 we're into questions on biological production, but here you
19 can see generally along the shelf break here, very intense
20 levels of chlorophyll, some of the highest levels of
21 chlorophyll A in the world. And Tom Royer and Tom
22 Weingartner tell me that on cruises out there they actually
23 -- the concentrations of chlorophyll A at 10 or 15 meters
24 are much stronger than they are here on the surface, so we
25 have an intensely productive system. I think we all knew

1 that. But we do have these geographic differences as we
2 move from place to place here, it's not just one continuous
3 -- probably because of the eddies and then different bottom
4 features that occur here.

5 Go ahead.

6 So some of the questions that might evolve out of
7 that picture, biologically, how do fronts and eddies affect
8 biological production and onshore/offshore transport? How
9 do nearshore and shelf exchange processes change over time
10 and what are the biological consequences of such changes?
11 How are nutrient transport and recycling in the central
12 Gulf of Alaska on the shelf different in different climatic
13 regimes? What are the relative roles of local nutrient
14 cycling versus water supply and cross shelf transport in
15 Prince William Sound and Cook Inlet and Kodiak Island?
16 Next slide. Are Prince William Sound, Cook Inlet and
17 Kodiak shelf net importers or net exporters in nutrients,
18 carbon and energy? What combinations of physical
19 conditions and primary/secondary production lead to
20 favorable conditions for higher trophic level consumers,
21 fish, birds and mammals? And what is the spatial and
22 temporal variability and frequency of occurrence of these
23 combinations? It's probably too long a question, I think.

24 (Laughter)

25 DR. SPIES: What are the mechanisms

1 responsible for interannual and interdecadal variations and
2 populations that measure species of forage fish, herring,
3 pollock, capelin and eulachon in the Gulf of Alaska? Are
4 there particular combinations or period -- this is another
5 mouthful here. Are there particular combinations or
6 periods of wind free onshore transport of deep water with
7 high nutrient content and periods of wind driven mixing
8 that prevent prolonged stratification of surface water that
9 are optimal for inshore survival of young herring and
10 salmon?

11 Molly's an English major, I think she cringes every
12 time she sees that. Does enhanced late season plankton
13 production favor survival of zero plus age class fish, such
14 as herring? Next slide. And how do populations and
15 productivity of benthic and intertidal communities
16 fluctuate interannually, interdecadally? What conditions
17 cause fluctuations and the fraction of spring bloom that
18 falls ungrazed to support the benthic fish and the
19 vertebrate community?

20 Next slide. How do populations and productivity of
21 seabirds fluctuate interannually and interdecadally? Is
22 the availability of fatty forage fishes, for example,
23 herring, capelin and eulachon in the shelf environment that
24 may determine the population success? How do populations
25 and productivity of harbor seals fluctuate interannually,

1 interdecadally? Do populations and productivity of sea
2 otters fluctuate interannually, interdecadally? Does food
3 supply play the main role or do disease and predation?

4 Next slide.

5 And not to forget contaminants because they're a
6 very important part of this whole system and it's something
7 that we continue to be concerned about and this program is,
8 after all, rooted in questions about contaminants. Are
9 anthropogenic chemicals having adverse effects on the
10 health of marine organisms, especially APEX predators with
11 high accumulations of persistent synthetic chemicals? Are
12 natural toxins having adverse effects on the health of
13 marine organisms, such as killer whales and other apex
14 predators with accumulations of persistent synthetic
15 chemicals?

16 Next slide.

17 Okay, so those are kind of a long list of examples,
18 but I wanted to plant it firmly in your mind that there's a
19 flow down from the conceptual model to what we're trying to
20 do here and eventually trying to measure specific
21 parameters and specific places in the Gulf of Alaska to
22 answer those kinds of questions.

23 Okay, we have taken a theme approach, I'd like to
24 switch a little bit now into, at least, kind of a warm-up
25 for Phil in describing what we're trying to do in terms of

1 organizing GEM. And the questions came up, Tom Malone, I
2 think, in the last talk posed it, and we've certainly heard
3 lots of people pose it. Okay, you've got five or six
4 themes here, how do you pick those themes? Should there be
5 other themes and how can you say one theme is necessarily
6 better than the other? I would like to say that the theme
7 approach certainly isn't new, within even our program or
8 other programs. During the Restoration Program and the
9 Sound Ecosystem Assessment we essentially had a theme
10 program organized around pink salmon, juvenile pink salmon
11 and herring. There was a lot learned about pollock as
12 well. There was a lot learned about the things that
13 support and detract from those populations in terms of
14 sources of energy and sources of removals.

15 In APEX we did a tremendous amount of work with
16 kittiwakes and murre and some with puffins and other
17 things and we were worried about food in that system. In
18 NVP, the Nearshore Vertebrate Predator, we focused on the
19 harlequin ducks, pigeon guillemots, even river otters, so
20 that we had four theme species there, if you will and
21 looked at their -- as a way to enter the ecosystem through
22 the eyes of those species, if you will.

23 And in GLOBEC we've got Pacific salmon and mostly
24 pink salmon, but other species of Pacific salmon, as well,
25 as an entry point into the ecosystem and something that

1 people care about. So what we're trying to do here, folks,
2 is to deal with inshore species that mainly that people
3 really care about. At the same time integrate process into
4 that, so we're trying to put those two things together in a
5 way that makes sense scientifically, in a way that also
6 answers the questions of the user groups and because the
7 continual questions we ask about the decline of this or the
8 decline of that and what's happening in the oceans, we find
9 we don't have the answers to. And the reasons we don't
10 have the answers is we don't have enough continuous long-
11 term data on the root processes that describe production
12 and the limits on production and predation, food and
13 habitat.

14 Next slide.

15 So, food, habitat and removals together control all
16 animal species. These are the concepts that we're dealing
17 with here, these are our assumptions. And we got a
18 conceptual model that deals with production at the shelf
19 break, there's a lot of production at the shelf break and
20 it's -- we're proposing -- and species that are able to
21 utilize that, that it's a very important process. It could
22 be a limiting process and it could explain a lot of the
23 fluctuations in these break-coupled species.

24 And climate controls the bounds of food production.
25 That doesn't mean that bottom up forcing is the only thing

1 we're looking at, but it sets the bounds of what's
2 available. Predations, removals, habitat are also all
3 important concepts.

4 Next slide.

5 So the concept is that food, habitat and removals
6 control animal populations. The amount of food available
7 is largely determined by events at the shelf break and the
8 extent of inshore water stratification. The amount of
9 habitat available is determined by geophysical processes
10 and by human activities that degrade and destroy habitat.
11 Removals, the third part of this, include human harvests as
12 well as natural causes, such as starvation and non-human
13 predators. Basic assumptions about the program, how we're
14 going to proceed. Break-coupled species are food limited,
15 the productivities of many of the birds, fish and shellfish
16 and mammals are coupled, to some extent, to the amount of
17 food produced at the shelf front and its subsequent
18 geographic distribution.

19 It's a major concept, you know, are we right, are
20 we wrong? Are we measuring the right things? Are there
21 alternative ways to approach this?

22 Next slide.

23 And climate controls the bounds of food production,
24 that is, food or primary productivity, this is bottom up
25 forcing is controlled by effects of climate, and all the

1 geophysical processes on plant species composition,
2 temperature, light and availability of macronutrients and
3 micronutrients. So I think you saw that in the last slide
4 that Tom Malone showed, an integrated series of models that
5 dealt with all these things in terms of primary
6 productivity in the ocean. And finally climate controls
7 and break-coupled species.

8 Next slide.

9 Okay. I'll turn it back over to Phil to take it
10 from here, logically and develop the next part of that plan
11 and how this workshop would go and how we'd like to enlist
12 your help.

13 DR. MUNDY: Thank you, Bob, for a complete
14 and also very sobering look at the task ahead of us. Now,
15 I'd like to begin by saying I've had a chance to greet many
16 of you in the room here this morning. And I'll bet you
17 heard me often say, I'm glad to see you and I'm so glad you
18 came. And, believe me, as the Science Coordinator of this
19 program I do genuinely and deeply mean that. As the keeper
20 of the bibliography I know that the scientists in this room
21 are responsible for thousands of pages of peer reviewed
22 science that's backed by tens of thousands of pages of
23 data. I know that by looking at the age distribution in
24 the room, and by the number of participants we have at
25 least 3,500 person-years of experience in this room and

1 getting more all the time.

2 We really do genuinely want your help, we really do
3 genuinely need your help because I've learned over the past
4 year as a person who's seen ecosystem through a salmon lens
5 most of my career, and having worked with people who see
6 the ecosystem through bird lens and mammal lens, that
7 really it's going to take a combined effort of geophysical,
8 biological scientists, managers and policymakers to really
9 make GEM a relevant part of Alaska and a relevant part of
10 our culture worldwide.

11 So, if I could have the next slide.

12 Okay, we're going to step through these things.
13 Some current issues, what information gaps cloud the
14 issues, how themes could be used to close gaps, ecological
15 questions of the conceptual foundation and themes,
16 questions and gaps in how these things work together and
17 interact. And then, finally, what we need from you.

18 So, humble of fish, I believe that George Rose
19 brought these in from eastern Canada on his trip. The buzz
20 this summer is that the capelin are back. And the reason
21 that people are really excited about this is that capelin
22 may not be bellwethers, which I understand is sort of a
23 sheep with a bell around it which leads a group of sheep,
24 but probably the vanguard of significant ecological change,
25 or maybe not. Long-term declines in salmon catches, return

1 of shrimp fishing, the rebound of sea lions could be
2 indicated by the return of the capelin. These are some
3 highly significant issues for Alaskans and for biologists
4 worldwide.

5 Next slide.

6 All right. In current issues, are the recent
7 failure of salmon runs bellwethers of long-term declines in
8 statewide catches of salmon and other species? Remember
9 that the last time we had a big regime shift, not only did
10 the salmon go up, lots of other things went down as well.
11 Were these related to the oceanographic conditions and
12 generally part of the regime shift or not? We still have
13 significant questions.

14 Okay. Current issues. Return of red king crab
15 fishing in the Gulf of Alaska. At the time the red king
16 crab fishery on Kodiak went down in the early '80s it was
17 one of the most economically valuable fisheries in the
18 world. Okay, so we have a world class fishery. There are
19 some indications that things may be turning around over
20 there. Are they real?

21 Next slide, please.

22 Current issues. How many hatchery salmon should be
23 released? The real issue, given that in many parts of
24 Alaska the majority of the catch, that is the majority of
25 the commercial catch, now originates in hatcheries, and

1 that's particularly true in Southcentral and Southeast
2 Alaska. We need to understand whether or not hatchery fish
3 compete with one another and whether or not hatchery fish
4 compete with wild fish.

5 Okay. Now, the issues and questions, I've just hit
6 some of the highlights. Some of the questions, I believe,
7 will be on the table during the GEM Program and some of the
8 things that relate to the elements of the ecosystem that
9 we'll be considering and describing during the workshop.

10 Other issues, such as how changes in human uses impact
11 watersheds of the marine environment, accumulation of
12 contaminants, we have to be very wary of this because we
13 saw in the 1960s, 1970s the devastating effects of
14 accumulation of contaminants in terrestrial bird
15 populations and marine bird populations and we want to be
16 on guard for that. How do watersheds depend on the flow of
17 marine nutrients? Particularly important in northern
18 latitudes and how do nearshore marine environments depend
19 on the watersheds is also significant questions.

20 Okay. So what information gaps cloud the issues?
21 Now, what is this? Is this a food web? Well, no. No,
22 it's not. Focus on the central part here, the big question
23 mark. These are the elements of the ecosystem and whether
24 these arrows really should be here or somewhere else,
25 whether they represent the flow of carbon and nitrogen,

1 whether they represent the forces of predation, the flow of
2 toxicants from one species to another, these are open
3 questions and we don't pretend, at this point in time, to
4 understand these very explicitly.

5 Down here at the bottom you'll note that this is
6 not really a top down or a bottom up kind of schematic
7 because although we've got oceanography and climate here,
8 we also have things like human uses and contaminants. But
9 these are major factors, major foundations that follow us
10 up to just about every issue that we've got. The issue in
11 red king crab, sea lions, salmon and shrimp. When this is
12 the issue, we can't really understand, or so we believe,
13 any one issue in isolation from the other issues that we're
14 dealing with and we believe that they're fundamentally
15 based on the oceanography climate, human uses,
16 contaminants, primary productivity and secondary
17 productivity.

18 Now, if we could just step through these. Next
19 slide, please, next slide, next slide.

20 Okay. These are the relationships. Again, what
21 does phytoplankton have to do with salmon, well, harmful
22 ARGO blooms kill fish. I don't really know, but the point
23 is we have these elements of the ecosystem, if we want to
24 put together a comprehensive program we need to try and
25 understand what the relationships are but, on the other

1 hand, we don't want to presume that we know too much going
2 into this.

3 Next slide.

4 So how themes close gaps. Well, what are the
5 themes? The themes are the ecological crossroads, the
6 themes are the place where forces, geophysical forces,
7 biological forces come together to produce change in things
8 that people care about. Here, we've tried to suggest that
9 the fundamentals, the oceanography climate and here we've
10 translated some of human uses and contaminants into
11 ecological questions of removals, food and habitat. These
12 coastal processes within our themes are addressing the
13 fundamentals. The coastal processes would also look at
14 things like juvenile salmon. They might also encounter
15 juvenile or larval king crab, larval shrimp and larval
16 capelin. Nonetheless, these are -- the coastal processes
17 are the fundamental theme in our collection.

18 Things like forage fish, seabirds and terrestrial
19 linkages really should contribute heavily to our
20 understanding of salmon, even if we're not funding the
21 collection of salmon information, per se, directly in most
22 or all of these projects. The idea of a theme is to
23 organize our information and organize our efforts around
24 concepts that will look at food webs, generally look at
25 microalgae based food webs, such as forage fish and

1 seabirds, that look at macroalgae or primarily macroalgae
2 based food webs, such as nearshore plants and animals and
3 to try to -- some information set that will allow us to
4 contribute information to managers to help them solve their
5 problem.

6 So in looking at moving around the forage fish, the
7 seabirds, the terrestrial linkages, the nearshore plants
8 and animals, again, forage fish, seabirds, would we be
9 measuring shrimp in the forage fish and seabirds? Well,
10 perhaps, perhaps, if we are coordinating and integrating
11 out data collection activities we may be collecting
12 plankton samples along with observations on birds and
13 forage fish. So, in any event, the idea is to use the
14 theme approach to close the gaps.

15 Okay. Now here are the ecological questions. We
16 have in our mission to understand the effects of human
17 causes, natural factors on productivity of plants, animals
18 that are managed. We have ecological questions here,
19 removals, food and habitat. Human uses, human impacts on
20 the questions. Natural factors, primarily oceanography and
21 climate impact to ecological questions. And these should
22 lead us directly to information that's helpful to
23 understanding issues like the return of capelin, increase
24 in cod and pollock and the return of red king crab
25 fisheries to the Gulf of Alaska.

1 Now, this is an attempt to show how to use the lens
2 of synthesis to focus the information that we're bringing
3 up from the themes. We have two, sort of, process based
4 themes, coastal processes and terrestrial linkages. We
5 have a cluster of three themes here that deal with the
6 primary food webs, indicated by the forage fish, the
7 seabirds and nearshore plants and animals. These things
8 are focused through the process of synthesis, which is an
9 extremely critical part of GEM, I believe, on issues such
10 as capelin, salmon, hatcheries, king crab and pollock. So
11 having a liberate synthesis approach which crosses
12 institutional boundaries, which crosses boundaries such as
13 terrestrial and freshwater and freshwater and saltwater
14 boundaries, I think, will be an extremely powerful tool
15 very useful, particularly to natural resource managers.

16 Next slide.

17 Okay. All right. So what we need from you. Well,
18 first of all, as I mentioned, we have a lot of expertise in
19 this room, there is an incredible amount of knowledge under
20 one roof and we need you to consider not only what you
21 would like to do in looking at the ecosystem through your
22 salmon lens or your sea otter lens or your kittiwake lens,
23 but also to consider the issues and the questions that are
24 on the table that are facing resource managers, such as we
25 heard about from Commissioner Rue and from Ron Berg. We

1 have the need to understand what to do, but also since we
2 have a very long-range program, we have the luxury of
3 dividing this up. We would like to know what to do and we
4 would like to know what to do within the next five to 10
5 years. So what do we need to do and what do we need to do
6 immediately.

7 Now, there are questions in your workbook to help
8 guide this process, but that's the basic idea, everything
9 is really still on the table. We do have the opportunity
10 to completely rewrite the components in your workbook, and
11 intend to do it, if necessary.

12 Again, when you bring a group of people like this
13 together, we have a lot of people here from different walks
14 of life and from different institutions and it's very
15 important for you to contribute your knowledge about your
16 agency's programs or your organization's program and what
17 they're doing and how they might help us, but also think
18 about how they might hang together and work together to
19 help us get the job done more cheaply.

20 Now, again, in the gap analysis, we were hoping at
21 the beginning of this program, in August of -- at least my
22 beginning of the program in August of last year, that I
23 would simply get the big book of agency projects off the
24 shelf and I would look through it and it would tell me
25 exactly where the gaps were and what was missing and how we

1 could fit in. Clearly, we don't yet have that, but we have
2 something that's getting there, that's getting fairly
3 close. So in your workbook you have a gap analysis and you
4 have the pages on the gap analysis and for those of you who
5 contributed corrected information and it didn't get into
6 this addition, I apologize, but that doesn't mean that we
7 don't have it and that we don't value what you gave us.
8 But we do need people to continue to update that and
9 correct that. Help us understand what's going on out there
10 and help us understand where the most important gaps are
11 that need to be filled.

12 Now, I would point out to you another thing about
13 how the component section, that is the -- what people might
14 call individual projects, although I'd put quotes around
15 that because they're not projects, but how these things are
16 structured. We have organized these things into themes but
17 we've also collected them in the ecological questions and
18 disciplines, so that even though you may not be comfortable
19 with a theme organization, per se, there are other ways to
20 organize that. And we've indicated these in the way that
21 we've structured the work sessions.

22 The very first work sessions you're going to right
23 after lunch is the one that I would ask you to hold your
24 assignments on, even though, you know, nobody is indentured
25 here, everybody is free to move around. We've tried to put

1 people in unlikely places and unusual places and that's
2 intentional, it's purposeful. You may tend to gravitate
3 towards seabirds or towards mammals or those types of
4 things that you're most interested in but, please, try to
5 give us the cross-disciplinary perspective in this first
6 working session. You'll have an opportunity to come
7 together with people from your groups and your discipline
8 in the very next session and that's why that's been
9 provided.

10 Insofar as the ecological questions go, again,
11 we've tried to mix the disciplines to the extent that we
12 could understand what your professional interests were, we
13 tried to bring a cross-disciplinary view into the sessions
14 on ecological questions. You'll notice in your work book
15 that the items are organized by theme, but they're also
16 organized by hypotheses and that behind each hypothesis is
17 a set of strategies and then within that you have organized
18 components. The way that that's been set up has been to
19 basically allow you to look at the hypotheses, to see
20 whether or not they relate back to the workbook, to
21 organize strategies for addressing the hypotheses, but we
22 also recognize that these hypotheses are real speculation
23 and not testable hypotheses, per se. We very much need
24 your help in that.

25 So, in general, I hope that this workshop and this

1 working session will be something that's fun for you,
2 that's intellectually challenging and engaging and I'll
3 just close by saying that I really am glad you're here and
4 thank you for coming.

5 (Applause)

6 MS. McCAMMON: Okay, just two
7 announcements. One, if you did not preregister then you
8 don't have any session assignment so you're free to go to
9 any of the sessions during the next two days. But do look
10 in and kind of make sure that there's seats available and
11 that, again, not everyone is going to one.

12 (Off record comments - re: lunch.)

13 (Off record)

14 (END OF PROCEEDINGS)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EVOS GEM PROGRAM

GEM DRAFT PLAN WORKSHOP CLOSING

Regal Hotel, Anchorage, Alaska

October 13, 2000

1	<u>TABLE OF CONTENTS</u>	
2	Pete Peterson	04
3	Allen Springer	10
4	Gretchen Oosterhout	14
5	Worth Nowlin	17
6	Charles Falkenberg	25
7	Ted Cooney	31
8	Steve Braund	34
9	John Blaha	38
10	Tom Malone	40
11	Brock Bernstein	45
12	Jon Isaacs	46
13	Karen Murphy	54
14	George Rose	57
15	Josie Quintrell	66
16	Bob Spies	71
17		
18		
19		
20		
21		
22		
23		
24		
25		

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 And, in fact, Allan, if he goes too long, give him a kick.

2 MR. SPRINGER: Oh, that's okay, I'll just
3 take it off my end.

4 MS. McCAMMON: But anyway, we would like to
5 start with Pete Peterson and I know most of you are
6 familiar with him. He's been a core reviewer with the
7 program since -- almost since the spill, since a very long
8 time, very long term. He's a long-term dataset actually.
9 But he's from the University of North Carolina Institute of
10 Marine Science. So Pete. No, you can do it right there,
11 unless you'd rather stand up.

12 MR. PETERSON: Don't take this as an
13 indication that I've got a lot to say. I really don't. I
14 think this was a superb meeting. I was very happy to see
15 and meet a lot of people whom I didn't know and that
16 indicates to me a reaching out of the program at a time
17 where reaching out is appropriate because it is clearly
18 into a new phase. And the people who have been involved in
19 some of the restoration are clearly an important component
20 as the future moves ahead but so is getting the input from
21 all Alaskans and other people who haven't been directly
22 involved because we're asking a new set of questions. So I
23 felt that that was a very great thing. I thought people
24 were very forthcoming and helpful and sharing and that that
25 was terrific. Now, my particular experience, of course,

1 since we had five, or something like that, concurrent
2 sessions, my particular experience is limited and biased by
3 the ones that I attended, the 20 percent of the
4 interaction. So I can't speak for the others in which some
5 differences may have arisen. But speaking for the ones
6 that I participated in I would say that there's been a
7 great concurrence that the general, unifying conceptual
8 theme that was developed by the folks who put the elaborate
9 GEM plan together that we have to date, was a success and
10 was accepted as a reasonable basis. Now having gone
11 through this myself and going through the birth of GLOBEC,
12 one of the early programs that Tom Malone spoke to and
13 talked a bit about, I can say that we had just tremendous
14 battles and a terrible time getting any kind of consensus
15 and agreement that a general theme or even a general
16 description of the program could suit the various interests
17 at the table. And of course that was just a bunch of
18 scientists. Maybe they just fight like cats and dogs.
19 This, though, has so many other users and owners than just
20 the scientific community that I think it's a great tribute
21 to the work that the staff has done on behalf of the
22 Trustee Council when putting together a plan and a general
23 conceptual theme that really met the test of this group.
24 And so I am very pleased to see how that lived and didn't
25 die in the workshops and the meetings that I was in.

1 However, you knew there'd be a "however" that
2 particular general theme reflects what I characterize,
3 although others disown, as a sort of a bottom-up approach
4 to the forcing of change in marine ecosystems and the
5 change in populations. And I think there's an equal
6 commitment in the literature and among those of us working
7 in marine communities to viewing top-down organization as
8 an important one. Furthermore, there's a lot of evidence
9 that both our exploitation of species in the marine
10 environment and the risk of effects of contaminants are all
11 focused much more strongly at the top ends of ecosystems.
12 And that APEX consumers are likely to be affected and, in
13 many cases, have very important influence on the abundance,
14 distribution and dynamics of marine ecosystems. And so in
15 that regard, and this came out in a lot of the discussions,
16 I think that particular part of the plan is one that needs
17 more explicit development and that that will strengthen the
18 process and the hypotheses as a whole.

19 There are other factors that people in sessions
20 that I worked in, and those tended to be the nearshore
21 ecology sessions, brought up and thought should be
22 incorporated. And I think the plan, and I give credit
23 personally to a very clever strategy in here where there is
24 a general conceptual theme running this way and then these
25 other hypotheses running across that can incorporate

1 alternatives to the general concept. And in that it
2 strikes me that some more explicit assessment of the role
3 of contaminants, of the role of various types of shoreline
4 disturbance, logging, sedimentation from streams, of the
5 role of various human usages along the shoreline, perhaps
6 subsistence but also other trampling of the shoreline in
7 various ways might ought to be incorporated into the
8 studies with appropriate partners whose mission
9 incorporates a need to know what that is. There also is,
10 of course, a carrot to this. How do you bring in other
11 agencies? It's a bit tricky to suggest to the Trustees
12 that they develop a research plan for about 10 or 12
13 different agencies and organizations and ask them to
14 contribute 90 percent of the funding for those portions of
15 the plan. So there has to be a rationale for why that
16 might be successful. And one of those rationales is the
17 very rationale that underlies the broad conceptual theme of
18 GEM. And that is, with this information on the climatic
19 physical oceanographic forcing of the system, there is a
20 real opportunity to be able to distinguish natural, if you
21 will, climatic forcing from anthropogenic interference and
22 operations in marine ecosystems. And so many programs that
23 are set up as monitoring programs to assess the effect of x
24 or y, whatever that may be, never have opportunity to get
25 the natural climatic forcing right and to develop that

1 understanding. So it confounds their ability to test what
2 their mandate is. And hopefully that can be a carrot that
3 will bring aboard a number of partners in this enterprise.
4 And that was one of the things that disturbed me was how
5 many partners are needed to make a go of what we've had
6 before us.

7 There, I think, are some processes that need to
8 continue and many people spoke to this. The need to have
9 perhaps smaller groups on each specific sub area to develop
10 the specifics of the plan. We here have been talking
11 generally about broader conceptual issues and whether the
12 whole process was appealing. We haven't gotten to the
13 detail and the devil is in the detail and they're a group
14 of specialists who know those particular systems are going
15 to be needed. I would hate to think that I could sit here
16 and specify the location and the types of physical
17 oceanographic moorings. That would be a complete failure.
18 And I think it's clear that the folks doing the GEM plan
19 and moving it forward understand the need for that sort of
20 expertise as well.

21 Finally, I do have a question and that is one that
22 others have raised. It strikes me that while the GEM
23 mandate is a different one from that of restoring the
24 resources that were injured or continue to be injured from
25 the oil spill, that there is a wealth of historical data.

1 There's a 10-year long-term dataset in many cases. There's
2 a wealth of spatial as well as temporal information that
3 could be better incorporated into the GEM plan as we move
4 ahead. Now, this is not a criticism because in fact the
5 GEM plan hasn't really identified the wheres and whens of
6 many of the measurements that want to be made. But that
7 particular ability to tie it in to what we already know,
8 what we've already paid for, and what we already have as
9 information about the system seems to me likely to enhance
10 the value of the GEM plan and give us maybe a 10-year, 11-
11 year head start on the long-term databases.

12 And finally it strikes me that one of the nitty
13 gritty's that's going to be really important is the cost
14 estimation of various components because ultimately that
15 prioritization that we make of topics and what to do is
16 going to depend quite realistically on how much they cost.
17 And that was a little frustrating here to me and to others
18 but understandably because we're not at that level. But if
19 we see the sort of development in this program that we've
20 seen from the April binder draft to this one in the next
21 six months or even in the next year, this will be a program
22 second to none. And I should add that this one is
23 groundbreaking. We keep looking towards other models for
24 how to guide this, other community owned, in this case
25 Alaskan owned projects, that are trying to do wonders for

1 understanding the role of climate versus human intervention
2 in changing important aspects of the marine ecosystem.

3 This GEM plan is going to be the one and we are breaking
4 new ground here in a way that is exceptionally exciting and
5 will attract the attention of the world. Anyway, thanks.

6 MS. McCAMMON: Thank you, Pete. Our next
7 speaker is Allan Springer. Allan has been one of our core
8 reviewers for about a year now. He specializes in seabirds
9 and particularly in the Bering Sea and the Bering Sea
10 ecology. And that was one of the benefits that I think
11 he's added to our program is the ability to coordinate and
12 kind of see the connections between the Gulf of Alaska and
13 the Bering Sea. And hopefully once the North Pacific
14 research board ever gets going there will be a lot more
15 connections there in terms of long-term research for both
16 the Bering Sea, the Arctic and the Gulf of Alaska. So,
17 Allan, if you'd like to -- and you can just sit there if
18 you just want to flip on a mike there too, if you don't
19 want to stand up here.

20 MR. PETERSON: Can I just sit here and flip
21 on the mike and call that good?

22 MS. McCAMMON: No.

23 REPORTER: All the mikes are on and I'll
24 turn them on up here.

25 MS. McCAMMON: They're on, okay.

1 MR. SPRINGER: All right. Well, Pete
2 brought up in one of his comments, which I'll guess begin
3 with as a place to start, that taking advantage of these
4 long-term data centers that have been accumulated over time
5 beginning with -- or I don't know, beginning with OBSET but
6 that was certainly one of the big genesis points and there
7 are undoubtedly ones that precede that. That's, in my
8 mind, a component of synthesis of information that we have
9 in hand about the ecosystem of the Gulf of Alaska, there's
10 -- this GEM program will carry forward the work of the
11 trustee council. It's not the only work that's gone on and
12 that is going on in the Gulf of Alaska. And one of the
13 things though that's not going on is the drawing together
14 of the common knowledge. There must be a lot of it.
15 There's certainly a lot of opportunity to get into that.
16 And it seems to me that if GEM does -- and I think GEM
17 wants to do this, I think maybe it should and I think that
18 there's a lot of reason why it should provide the source,
19 the impetus, maybe even the program to become a synthetic
20 arm of research in the Gulf of Alaska.

21 As sort of another aspect of this organizational
22 role that -- and this overarching role that GEM might play
23 I think is to serve as -- well, one of the issues that came
24 up in more than one of the sessions I was in was that
25 before you begin doing something, be sure you know what

1 isn't done and what is done and that's this gap analysis
2 exercise. And GEM can do that, provide the mechanism and
3 the resources to identify what has been done and what
4 hasn't been done and what needs to be done from any number
5 of points of view, sort of serve as a clearinghouse in that
6 regard, and help coordinate this development of filling
7 these gaps, some of which they will do as part of their
8 programs and others of which hopefully will be obvious
9 things that need to be done by other agencies that might
10 have more direct responsibility for those kinds of things
11 and incorporate them into their normal routine.

12 As a part of that analysis there was some question
13 about what in particular we know and the GEM conceptual
14 model was based on a sort of an assessment of pattern,
15 pattern in the ecosystem that was drawn on some
16 observations. And there was concern that we don't really
17 -- we're not really certain of what these patterns are.
18 And the hypothesis is built on what's kind of the best
19 knowledge but not everybody is necessarily agreeing that
20 those patterns exist or that they're the correct patterns.
21 And so just being aware of this and this -- recognizing or
22 identifying something beforehand carried over into other
23 people's concerns about how do you measure the effect of
24 something on something else when you don't know what the
25 amount of necessarily either one of those is. And so in

1 order to do this kind of monitoring or detection you really
2 have to know what you're dealing with to begin with. And
3 so that has to do with inventories, I think and being sure
4 that you've spread yourself around and looked in all the
5 right places to see if you've really captured what is
6 there.

7 As far as just sort of nuts and bolts a little bit,
8 there was another -- on several different occasions the
9 need to use as a sampling device the people that live in
10 the region. And this was brought up as an opportunity for
11 a variety of different kinds of things. But the point of
12 it is is that there are -- there is really a valuable
13 opportunity out there and that's the people that live there
14 who are there day in, day out, concerned with this,
15 observant of this ecosystem and who provide really it's an
16 array, not a moored array exactly but, you know, an array
17 in place that's very extensive and very capable of doing
18 this. They just need the mechanism, the infrastructure as
19 it were, the website and the technology as an example to
20 accumulate this information and make it available to other
21 people who are interested in it for whatever reason. And
22 so that was a widely sort of held opinion that that would
23 be very useful as something that GEM could do right off.

24 And then just another thing in terms of process or
25 how you go about what you're -- what kind of work you're

1 going to do. Whenever -- and I share Pete's concern or
2 reluctance to try to identify sites right now, where would
3 you go and why would you go there, but those sites will be
4 identified. There will be some kind of sampling design
5 that is eventually sort of proposed or people will propose
6 it in one way or another and there will be places that are
7 selected and there will be reasons for that. But when
8 possible you should load up on your sampling at individual
9 sites and try to make it incorporate as many aspects of the
10 system at -- you know, at these sites. And so there were
11 some various proposals on how to do this. But the point
12 was to do -- on the basis of whatever you select your
13 sites, really do intensive work at these places and not get
14 yourself spread out too far to be sure that you capture the
15 salient features of these individual places.

16 MS. McCAMMON: Thank you. Our next
17 speaker, Gretchen Oosterhout, is a private consultant from
18 Oregon and she specializes in modeling and decision-making
19 analysis. Did I get that right?

20 MS. OOSTERHOUT: Close enough.

21 MS. McCAMMON: Close, okay.

22 MS. OOSTERHOUT: You know, through this
23 whole process I started out feeling like I was drinking
24 from a fire hose. I don't know if the rest of you -- I
25 sort of assumed other people knew what was going on and

1 that eventually I would kind of figure it out. But it
2 reminded me of when I -- I spent about like the first year
3 of my dissertation arguing with -- basically not getting
4 along with my dissertation chair and finally one day he
5 said, you know, I know what the problem is. He said you're
6 really focused on the forest and you think I'm just focused
7 on the trees. And that kind of tension has really been
8 kind of driving, I think, at first a sense of frustration
9 that I had about, well, God, what is this overall sort of
10 big picture; what is this big picture thing we're trying to
11 do and yet knowing that there must be some, you know, tree
12 level sorts of questions that we were trying to sort out
13 that ultimately the GEM managers are going to have to sort
14 out.

15 And one of the people, I think it might have been
16 Phil, made a reference to sort of a schizophrenic approach.
17 I don't know if you would call it top down versus bottom up
18 or big question versus small question or what. And then in
19 the sort of evolution of my adaptation of the process I
20 realized that really in the early part of problem
21 structuring, which seems to me, you know, where you guys
22 are at right now, it is important to be taking a kind of a
23 top down view and a sideways view and a bottom up view.
24 And it's kind of like the, you know, five blind persons and
25 the elephant, you start out looking at these general

1 themes, which I thought was a really good way of organizing
2 information, but it might not work for everybody.
3 Everybody thinks -- you know, people's brains just work
4 differently, and then going at it from the perspective of
5 issues and the perspective of disciplines, looking at it
6 from different angles. Some of them work better than
7 others, I thought.

8 But that was -- that's really innovative. I don't
9 think I've ever been involved in a process where they said
10 we're going to look at the same problems from multiple
11 perspectives and try to get some insights out of it. So
12 that was very useful to me. I'm not sure what the take
13 home messages are yet. I don't think -- it doesn't seem to
14 me that there really is an overall top five or six take
15 home messages. I was hoping to be able to make a list of
16 the top seven questions that I'd be able to e-mail my
17 clients and say, you know, here's what it seems to me your
18 top seven questions are but they're not there yet. But
19 they didn't prematurely converge on what those questions
20 were. That seemed really important to me.

21 I think the question that got brought up several
22 times that I think is a long ways from being beat to death
23 and needs a lot of attention is really who is it you're
24 going to serve. You can't serve everybody. And what are
25 the overall questions that you need to answer? You can't

1 answer them all. The conceptual foundation is a great
2 place to start but if you try to take that and say what are
3 the key questions that you're going to use out of there to
4 prioritize your research efforts and your modeling
5 activities and your monitoring activities, it's going to
6 have to be focused down onto whatever, the three to five
7 critical few. And this seemed like a really good place to
8 start, with a very broad overview but, boy, that seems like
9 the big challenge ahead to me. That's basically, I think,
10 the kind of top points I had to make. Did you -- Tom was
11 going to help -- if there was one more thing that you
12 wanted to add from our last session?

13 DR. MALONE: Doing great.

14 MS. OOSTERHOUT: Doing great, okay.

15 MS. McCAMMON: When Gretchen started
16 talking about trees I got a little concerned because we had
17 a group leaders dinner last night and we went around
18 introducing ourselves. And I think one of the participants
19 there said, okay, now what kind of a tree do you imagine
20 yourself as? It was just a joke but I was hoping you
21 weren't going to go there. We're really fortunate at this
22 session to have the participation of Worth Nowlin who is
23 from Texas A&M University, Department of Oceanography.
24 He's one of the co-chairs of U.S. GOOS, the Global Ocean
25 Observing System, and chair of the International GOOS

1 Steering Committee. And both he and Tom Malone, the other
2 co-chair of U.S. GOOS, have served as group leaders and
3 have really given us a lot of advice as we've tried to
4 begin the structuring of a long-term program. So we look
5 forward to your comments.

6 DR. NOWLIN: Thank you very much. I was
7 privileged to participate in the sessions on coastal
8 processes, physical geochemical and chemical oceanography
9 and effects of climate and food habitat interactions as
10 well as the modeling. But I think I'm speaking here a bit
11 for myself but also trying to summarize the consensus, if
12 you can call it that, from these first three groups;
13 coastal processes, the oceanography and climate, and food
14 and habitat. The first thing I want to say is something
15 about the scientific background. If you look at the
16 document that was given to the academy for review, the
17 document says that it provides the foundation for GEM --
18 the GEM program. And it says that Section 4, which is the
19 one on scientific background, presents and organizes the
20 scientific information available to guide the Trustee
21 Council as it develops and implements the GEM program.
22 According to that section it seems to be inclusive of all
23 the biological and physical components of the Gulf of
24 Alaska ecosystem.

25 I think in all three of the sessions that I'm

1 summarizing we didn't believe that. We found the
2 scientific background statement to be rather deficient. It
3 was tailored specifically to give information about the
4 general hypothesis that we'd structure this around the PDL
5 oscillation rather than to give the general background on
6 what we do know with regard to this ecosystem. And if
7 you're going to do a real planning exercise here, I suggest
8 you redo that to provide a lot more additional information.
9 I can give you a few examples in the physical area. We
10 should acknowledge the lack of information or knowledge
11 regarding the North Pacific jar as well as the ACC,
12 probably should state what is really known about the Alaska
13 coastal current. We should acknowledge here, which we
14 don't at all, that there may be significant interactions
15 between the gulf and the shelf, not just the stylized one
16 given in two figures, as well as between the shelf and the
17 coast and estuaries and that those are really poorly known.
18 Should acknowledge some of the needs that exist for
19 improved forcing, especially freshwater input to this
20 reason.

21 Now they move on a little bit to themes. I think
22 this is a very innovative approach, as other people have
23 said, for themes. But how do we know that these are
24 reasonable themes? In all of these three sessions I think
25 that the feeling was that we probably should first here in

1 GEM, as we've acknowledged I think that is necessary in all
2 the GOOS programs, determine what the real user needs are.
3 And a lot of those user needs are top down. Once those
4 user needs are determined then I think it might be possible
5 to identify the products that might meet those needs. And
6 then you have a basis for prioritizing the information that
7 you have to gather and the kind of synthesis you have to
8 put to that information to determine those products that
9 meet those needs. There's a logical sequence to this. I
10 don't think it's being followed here.

11 I think that, in general, one of the things that
12 several people pointed out is that the present assessments
13 where -- of areas where really long-term research efforts
14 are going on may not be complete. Now I realize that
15 you're not going to be able to get all of those. But I
16 think an attempt should be made to identify as many of
17 those long-term time series as possible. To follow onto
18 that is something that was said just a moment ago and that
19 is that so far there doesn't seem to be an assessment of
20 what is available in the datasets. And let me just give
21 you a couple of examples. You've had two satellite
22 altimeters up since April of '92. You should by now have
23 daily pictures of sea surface height anomaly for the Gulf
24 of Alaska. We do elsewhere. We have it for India, for
25 Indian Ocean, for example. We have them for the Gulf of

1 Mexico. You should have similar pictures, I think, where
2 the clouds allow and during the time that it was up for
3 SeaWIFS. Both of those things could give you an awful lot
4 about the variability and also perhaps about the
5 relationship of variability to productivity. So I think
6 that in that area you've got a lot of work to do to get
7 ready to design a final plan. I don't mean to be
8 discouraging. I'm just being honest with you.

9 With regard to the hypothesis, even if we take a
10 bottom up approach and not consider that it might be both
11 bottom up and top down, I think we felt, in the meetings
12 that I was in, that it's probably a mistake to use the PDO
13 conceptual model as the basis. Two reasons for that, one
14 is the PDO responses are not proven. They're sort of
15 cartoons. They're today's best guesses. They're not hard
16 scientific proof that that is the response that we get for
17 a high and low PDO at the moment. The second thing is that
18 we should be monitoring a whole spectrum of scales. You
19 can really fool yourself if you design a program, as we've
20 seen in the predecessors of the TOGA program and even in
21 the way they tried to first do modeling in TOGA, if you
22 limit yourself to a narrow spectrum of scales because
23 they're all interactive.

24 Now those, I think, are the general comments and I
25 would like to make on behalf of these two, three groups a

1 few specific things. In the coastal processes and physical
2 geochemical and chemical oceanography discussions there was
3 a suggested approach on how to proceed with the physics
4 based part of the program, not in very specific detail but
5 in generality. And the first thing is to provide necessary
6 physical background. We will require some validated
7 numerical circulation models. Perhaps one might start --
8 and this is strictly up in the air as to which end you
9 start in but one way to start might be with a three-
10 dimensional circulation model of the Gulf of Alaska, which
11 requires boundary conditions forcing, freshwater influx,
12 together with a hydrologic model over the land because you
13 don't have the adequate gauges to look at stream flow and
14 you also have a lot of point source -- I mean you have a
15 lot of line source that are not in rivers. Offshore
16 boundary conditions for that model may be needed and you
17 might even think of a thin Pacific model.

18 But that's just -- the next thing you need to do
19 with any of these models is to validate them. Now, it's
20 not clear, I think, where you would go about getting the
21 information, where you would put moorings or what type of
22 information you really want to have to validate these
23 models. And the models are going to have to be able to
24 take the data into them. They have to assimilate the
25 model. That is, they're going to have to be able to

1 extrapolate those data in time and space because you can't
2 sample everywhere here. You've got to think about, in the
3 long run, a thin sampling program. And so you probably
4 include as a minimum sea surface height anomaly but that's
5 not going to be everything that you assimilate into these
6 things.

7 The second recommendation is to maintain the
8 existing long-time series that you have. If you give up
9 many of those, you've lost a lot of information,
10 particularly the GAK 1 and its line. Three, the suggestion
11 was that probably would not start any new time series
12 monitoring, at least for physics, in the Alaska coastal
13 current until such time as the moorings that are being
14 placed there for long-term observations as part of GLOBEC
15 have been analyzed so you see what the structure of that
16 current looks like. You could take advantage of that.
17 Now, for the Alaskan coastal current you might want to
18 either use a nested model with boundary conditions from the
19 offshore model or you might want to change grid spacing
20 with the general model. But eventually you'll probably
21 have to validate and constrain that model, too. It's way
22 too early, I think, to decide where you might do that.

23 One suggested, following on from an earlier
24 comment, that it might be reasonable to initiate a series
25 of combined physical nutrient, phytoplankton, zooplankton,

1 forage fish as intensive as you can, monitoring at a
2 selection of stations. And it was suggested by several
3 people that one might put that grouping of stations, one,
4 off Prince William Sound; two, off the entrance to Cook
5 Inlet and along the east coast of Kodiak Island; and,
6 three, along the Alaska Peninsula. That is not to cover
7 the entire coast but it is to give you some grids and maybe
8 you can't afford to do that. You probably can't seasonally
9 because we estimated that it would run you 15 to 20 days of
10 ship time. But you might supplement that with seasonal or
11 even burst sampling on a series of fixed stations or lines,
12 a limited number of those. And those might well be done by
13 utilizing fishing boats or other in situ assets that you
14 have here rather than doing it otherwise, in following on
15 your comment I think. So that might give you -- that's
16 sort of the coastal process section. Am I out of time?

17 MS. McCAMMON: You're using up some others,
18 before you, time who were shorter. So you're fine.

19 DR. NOWLIN: Okay. In the food and habitat
20 -- which I found most interesting because I don't know
21 anything about that, so I actually learned -- maybe learned
22 something. I'm not sure. But there were a number of
23 suggestions and one is to try to characterize in some
24 systematic way for the Gulf of Alaska, maybe a GIS system
25 coverage, the physical geochemical properties of habitats

1 that are favorable for specific species, especially in
2 terms of food. And another suggestion which seemed kind of
3 very interesting was can you assess how habitat really
4 affects the value of food to specific species because we --
5 a number of examples were given where apparently equal
6 value habitats produced quite different productivity in the
7 same species. And can you -- would it help to consider
8 food not just in terms of its caloric value but nutritional
9 value so that you have additional factors depending upon
10 where the habitat is even though the same food source.

11 I could go on with these a little bit. I'll
12 mention one other thing and that is is the factor limiting
13 a specific species range more physical characteristics of
14 the habitat or the availability of the food from that
15 habitat and how do those characteristics change in time?
16 Well, I think the rest of these I would just give to the
17 recorder. But I would make one comment, in the section on
18 food and habitat there was a little bit of trepidation
19 regarding the suggestion that one might start as part of
20 GEM as early as possible truly hydrographic based or full
21 physical oceanography based ecosystem models. And I think
22 that maybe some of the other people that report on the
23 modeling session will follow up on that. But the concern
24 was that we may be at a very early stage and we may be able
25 to -- we may have to rely more on statistical and on energy

1 based models for the ecosystem, at least in the beginning
2 here.

3 Thank you very much.

4 MS. McCAMMON: Thank you, Worth. Our next
5 speaker is Charles Falkenberg. And Charles is a private
6 consultant specializing in data systems. And he's been
7 working for the last year, actually, on a contract for the
8 Trustee Council in anticipation of GEM in terms of setting
9 up a data management and transfer system. So, Charles.

10 MR. FALKENBERG: Thank you, Molly. I think
11 the data system issues are impeded by the same thing that
12 the other questions -- that the other speakers up here have
13 spoken to, which is the lack of a clear understanding of
14 our user community. But I think it's important not to
15 focus on that because I think with a program the size of
16 GEM, certainly we can't predict all the users that will
17 take advantage of these data nor are we at the stage to
18 understand what -- a part of the goal of this meeting is to
19 understand what that user community is. And so -- and it's
20 possible to address the data system issues I think, or at
21 least to begin to address them, devoid of the user
22 concerns. I mean, we certainly have a basic understanding
23 of the users. And I would like to pick up on something
24 that Worth mentioned, which is that I found many of these
25 sessions to be interesting because in some regards they're

1 all outside of my area of training. And that this has been
2 a very exciting opportunity to discuss these issues and
3 feel the consensus begin to take hold of the user community
4 and the issues that need to be addressed.

5 But the data system issues are quite large. And I
6 think Tom's point about asking whether or not they will be
7 even addressed before the first byte comes rolling in the
8 door is a valid concern. And the task seems to be -- the
9 task initially is framed as a wide disparity of data that
10 might include raster data. It might include satellite
11 data, large chunks of satellite data at regular intervals.
12 It might include acoustic data that has a certain raster
13 characteristic or a large volume characteristic at regular
14 intervals, oceanographic data. These data all have a
15 certain consistency and are tractable in many ways.
16 Compare that with observational data, which can be quite
17 irregular and may contain observations that are completely
18 unrelated to the study at hand or the monitoring contract
19 at hand. These data become very difficult to organize and
20 standardize and yet some of those ad hoc observations can
21 be quite important and need to be captured.

22 Going further down this spectrum, there was even a
23 discussion that traditional ecological knowledge should be
24 captured and kept in the database, research projects that
25 might have one off datasets that need to be captured. So

1 there's a huge disparity in the types of data and the ways
2 that it might be standardized. The session that I led was
3 on the data management system and transfer. And the user
4 community in that conversation included the management --
5 resource management community here in Alaska as well as
6 nationally perhaps, researchers, the scientists that have
7 traditionally taken advantage of EVOS research and the
8 general public, maybe even K to 12. Bridging the gap
9 between this disparity of data and this disparity of users
10 is untractable. You know, the possibility that we would be
11 able to create a system that could meet the needs of that
12 community for that wide set of data is probably impossible
13 to do. But in the last year thinking about this problem I
14 have taken advantage of the one thing that we can utilize
15 in this program, and that's the fact that it will go on for
16 a long time. We don't have to solve this problem in a
17 three-year time frame or a two-year time frame.

18 The problem that we do have to solve immediately is
19 that of data storage. The data will come in. As Pete said
20 there's already data out there that should be incorporated
21 into this system. That archiving function, those questions
22 of how we store the data, do need to be addressed
23 immediately. And in some regards as a consensus is reached
24 of what data will be collected, what will be monitored,
25 those decisions can be made on how those data will be

1 captured and how they will be stored and which data don't
2 fit the -- you know, fit the model and how we can
3 accommodate those data. So once we address those concerns
4 it seems to me that we have the opportunity then to begin
5 to ask our user community, our projected user community,
6 what they want and tailor systems over time to meeting the
7 needs of particular users. Some of the management
8 applications that were discussed in the meetings I was in
9 were highly tailored, permit generation that might require
10 some very specific analysis that GEM might be able to
11 supply data for. These are highly tailored applications
12 that are usable by a few people. But that kind of an
13 application can evolve out of -- as the system moves
14 forward once we've addressed the archiving concerns.

15 And so as part of this, these concerns need to be
16 put together in the data management plan. And Molly has
17 organized a data advisory committee and this was the first
18 time we've gotten a chance to get together and talk. And
19 as part of that -- as part of the first deliverable from
20 that committee will be a discussion of how we can build
21 this data management plan which will be an important
22 component of the GEM plan. And the issues that we
23 addressed initially are focused on these archiving
24 questions and less focused on the questions of transfer.
25 Because, as I say, I think without a clear picture of the

1 user committee we can't spend too much time there and it --
2 we do have the luxury of time, to some degree, in that
3 area.

4 So the issues that we really addressed in the -- in
5 our meeting, and I think the initial issues that need to be
6 addressed, are issues of data policy, how -- what the
7 policy is for the data that is collected, who owns it, how
8 is it transferred to the GEM archive, how is it described
9 in the proposals that are submitted. This, I think, is a
10 key issue in organizing the data system, that the data that
11 will be collected will -- is outlined in the proposals and
12 a time table is provided in the proposals of when those
13 data will be submitted and in what format they will be
14 submitted so that the completion of the proposal will
15 include an evaluation of the data that's submitted.

16 Certainly standards are a big issue. Some
17 standards are in place. I think the community has done a
18 pretty good job of organizing metadata standards. There's
19 -- you know, there's FTDC, there's things -- there's other
20 metadata standards out there that are usable. But there's
21 tougher issues that need to be addressed there, questions
22 of units, questions of coordinate systems. You know,
23 there's a sticky set of religious issues that get -- that
24 can drag out and we need to look to partnerships to solve
25 these problems. We need to look at the individual

1 disciplines and try to adopt the accepted standards in
2 those. I think the Global Ocean Observing System is a
3 start, certainly with the oceanographic data. But my
4 initial concern in reading the plan, certainly there's not
5 a lot in the plan currently about managing data and I think
6 in some regard that's understandable since it lags behind
7 the organization of the program in general. But I would
8 very much like to see the description of the archive, the
9 goal of that archive included in the plan so that as we
10 think about the various monitoring programs or various
11 research programs that are funded, their contribution to
12 that archive can be evaluated. So even beside the data
13 management plan I think it's important to articulate the
14 vision for that archive so that we can gauge the
15 contribution that individual monitoring efforts will make
16 to that plan.

17 As I say, the -- there's a data advisory committee.
18 Just as a status, we are going to collect the information
19 that we got in the data and information workshop and
20 circulate it, add comments to it and get it to the GEM
21 committee as the start of the data management plan. The
22 first recommendation will be what -- you know, how we would
23 go about formalizing this data management plan.

24 Thank you.

25 MS. McCAMMON: Thank you, Charles. I know

1 one of the failings of the oil spill restoration program
2 has been the lack of data management overall. And a lot of
3 that was due to the fact that the whole program was born
4 during basically a war-like -- war-time situation and we
5 don't have that now. So we really need to do a better job
6 in that aspect. Our next speaker is Ted Cooney, who's a
7 former University of Alaska Fairbanks professor. He was
8 also the leader of the SEA, the Sound Ecosystem Assessment
9 program. He now lives in luxury and ease in Montana but
10 Northwest Airlines has a direct flight. So, Ted.

11 DR. COONEY: Thank you very much, Molly.
12 I'd like to begin by thanking Phil and others who prepared
13 the documentation that we all reviewed this time and sent
14 it out ahead of time. I think it was a tremendous help to
15 everybody here. It certainly was to me and I think if we
16 made progress at this meeting it was largely because of
17 that organization. It really paid off. That's the way to
18 pull off a meeting.

19 At the risk of sounding a bit redundant, I want to
20 beat the data base and data management drum just a little
21 bit. I was a bit skeptical looking at the plan and still
22 remain concerned that we don't have a strong enough
23 commitment within GEM to deal with the kinds of problems
24 that Charles has mentioned. And I hope that that can be
25 addressed in a very meaningful way. What a tragedy it

1 would be if the Trustees bought Phil and Molly a nice BMW
2 only to look under the hood and find there was no motor
3 there. I mean, we've got to have all of the parts and GEM
4 is about information, I think, information in the short
5 period but also over the long haul. It may be that 50
6 years out somebody wants to redo somebody's data, wants to
7 do a re-analysis. Let's go back and look at the archive.
8 Let's pull this out. So at the heart of the program, and
9 maybe not as sexy as some of the field stuff with the hot
10 instrumentation, is this need to have data archive, data
11 management retrieval, all that goes with it. And so I am
12 counseling that enough horsepower be put into that part of
13 the program.

14 I wonder if as just a strategy as GEM has
15 implemented, one strategy might be to start a little slow,
16 maybe an incremental start-up, rather than ripping the
17 entire rabbit out of the hat as the gun goes off, why not
18 start with some pilot test bed programs and run those for
19 awhile allowing adaptive management procedures to inform,
20 you know, what's working and what isn't working. This
21 program is so important that it seems like getting it right
22 from the beginning, or mostly right from the beginning,
23 would be very important. And I think that would take a
24 little of the pressure off things if it was a more prudent
25 and careful start, not that I've heard that it wouldn't be

1 but I'm just suggesting that that might be a way to go.

2 I have been beating the drum for a couple of years
3 now on the hopes that the entire restoration body of work
4 would be summarized in a sort of super synthesis. I had
5 hope -- I had heard I think -- maybe it was Pete, maybe it
6 was Allan, maybe it was just in my mind that someone
7 mentioned this earlier, I think there's a huge amount of
8 information there that goes beyond the level of what did we
9 find and really seeks the knowledge of what have we learned
10 in that 10-year period of time that could inform GEM. And
11 so I continue to think that that is a project that ought to
12 be done. I'm not sure that I will be able to convince
13 anyone that that project ought to be done. But I think
14 that the information arising from super synthesis would be
15 very important for us all and a great legacy for the
16 project as well as we transition from the restoration
17 aspects on into the monitoring.

18 Much of what was done in the sessions that I
19 happened to be associated with, the terrestrial linkages,
20 the biological oceanography, the habitat and then community
21 monitoring or community participation, I think that much of
22 the excellent discourse debate ideas that came forward,
23 came forward with the understanding that there will be some
24 further collaborative reviews of this work down the line.
25 I think people felt free to bring their ideas to the table

1 knowing that essentially this wasn't kind of the last
2 desperate shot at pulling something together but rather an
3 orderly progression in refining a plan that is pretty good
4 and can get better. And as a result of that I think people
5 very honestly brought their expertise, their ideas and we
6 debated and filled up reams of paper with ideas that I hope
7 someone will be able to unravel. And it was, I think, a
8 very good exercise. So I look forward to interacting again
9 sometime I hope in the future, coming up from Montana to
10 see the plan. I am on the web so I can pick up stuff and I
11 think it's all headed in the right direction and it's --
12 there's a wonderful feeling of community, I think, in this
13 room. It's fun to be back and looking at something in a
14 sort of starting way and I wish us sort of all luck in
15 proceeding. I think it will happen.

16 MS. McCAMMON: Our next speaker is Steve
17 Braund. And Steve is a private consultant here in
18 Anchorage who has served over the last couple of years as
19 one of our core reviewers on subsistence and community
20 projects. I think his specialty is in kind of community
21 environmental issues and leading and facilitating meetings
22 and discussions like this. So, Steve.

23 MR. BRAUND: Thank you, Molly. When I was
24 first involved in this program they called me up and I
25 basically have been a peer reviewer in subsistence

1 proposals, different proposals and reading an occasional
2 report. This is the first time I've been involved with any
3 people other than other peer reviewers in this whole
4 process. So it's really nice to see that there are other
5 people involved. When they called me the first time my
6 phone rang and said, well, it's time to come and get these
7 reports. And I said, please, oh, just mail them to me.
8 And they said, well, we think you better come and pick them
9 up and I didn't think much. I said, fine, your office is
10 only a couple blocks away. That happened to be the day my
11 teenage junior high son was at my office for the share the
12 day with your parent and see what your parent does at work.
13 So I thought this will be a nice -- something he can go do
14 and get him out of my hair for a minute. I can get
15 something done. Well, he was gone for a long time and I
16 finally thought, I wonder what happened? Well, I'm on the
17 third floor of an office building and he finally struggled
18 back in with 22 pounds of notebooks. And that was the
19 reports and he's not been back to my office since. This
20 was several years ago.

21 So then when they called me and said would you work
22 as a facilitator here for a few days I think I asked, well,
23 what do I have to review? I was kind of trained at this
24 time and it was only one notebook. And I thought, oh,
25 well, that's going to be a piece of cake compared to what

1 I've had in the past. Well, then I opened the notebook and
2 I didn't open it soon enough because I waited for a couple
3 of days before the meeting and I started grappling with
4 themes, disciplines, questions, issues, components,
5 hypotheses. I struggled and I struggled to see the sense
6 in this and I can identify with another one of my speakers
7 here and say, well, I sure hope the people coming to the
8 workshop know more than I do about this because this is
9 going to be very difficult.

10 Well, I was in four workshops and I was very
11 impressed. I want to thank all the participants in those
12 workshops because you really did have a great dialogue.
13 Everybody was involved. I think the council really got its
14 money's worth because people really did participate in most
15 all of my workshops. Ninety percent of the people were
16 agency people and I found that very interesting. I'm an
17 anthropologist so some of my comments and my observations
18 are going to reflect that. But there was very good
19 participation and specifically the workshop that I was in
20 on the synthesis, one of the things I left there was more
21 public dialogue in the synthesis, not just scientists
22 coming to a bi-annual meeting, standing up, giving a
23 report, talking to other scientists, but somehow engage the
24 public more, engage a dialogue with the public.

25 Another workshop we had was human impacts I was

1 involved in. And there, again, I left that workshop with a
2 human element that there needs to be more attention paid in
3 the GEM to the human side of things. There needs to be
4 more monitoring now of different variables so in 50 or 100
5 years there are a lot more people coming up here. You're
6 going to be able to measure the difference, what's been the
7 difference of these human beings here. To the point at the
8 end of our workshop they talked about another theme, maybe
9 a human impacts theme.

10 And not to leave out the marine mammal people, the
11 workshop. That one somewhat concluded with more marine
12 mammals. And I think also the participation in the
13 workshops I was in, everybody was very free, very open,
14 lots of good ideas. I think there's going to be a process
15 of synthesis of all these ideas going back to Phil and he's
16 going to have a lot of food for thought to see what came
17 out of it. But I agree with the previous speaker that I
18 think the idea was this was the first phase of one draft
19 and they're going to see something else before it's off and
20 running yet. Before the train leaves the station I guess
21 we're going to see another iteration.

22 And I want to acknowledge the people from the
23 villages here. I see them sitting here. I've read the
24 proposals from the communities. I've read the community
25 involvement reports over the last two years. And I dare

1 say you probably wouldn't be here unless EVOS had made a
2 concentrated effort to have the community involvement
3 program, to have the Youth Watch program, and to have these
4 programs. So I'm really glad to see that you're here and
5 participating.

6 Thank you.

7 MS. McCAMMON: Thank you, Steve. Our final
8 speaker in this panel is John Blaha, who's with the Naval
9 Oceanographic Office at the Stennis Space Center in
10 Mississippi. And he's working on a Gulf of Mexico
11 observing system and you should also note that he is not
12 the astronaut John Blaha. He was asked this last night.

13 MR. BLAHA: I knew that was coming.

14 MR. McCAMMON: I know you knew.

15 MR. BLAHA: Well, one nice thing about
16 being last is there's very little new to say. So I'm just
17 going to make three short comments here. And GEM, of
18 course, is about change in a marine environment. And I
19 just want to remind folks that I think there are changes in
20 the ocean sciences occurring at the same time. And, at
21 least from my perspective working in the operational side
22 of oceanography, I see a lot of research now being directed
23 or very much integrated with operations, that is providing
24 some product immediately and very much integrated with
25 their research. And I think that GEM should feel

1 comfortable with that notion and use it as much as they
2 possibly can.

3 And the second point is related to that. I kept
4 looking for a lot of quasi-operational products that could
5 be early results of the GEM development. And certainly I
6 was maybe pushing a little bit hard in the sense of trying
7 to find modeling applications that could be implemented
8 early on. But if there's one thing I have learned, it's
9 that modeling fish and the marine environment is very
10 difficult to do. And that I think there are -- the
11 monitoring program really needs to be very inclusive of
12 parameterization on which models -- new models can be built
13 and evolve. And there ought to be some special review to
14 make sure that that aspect of GEM is well done so that
15 marine biological model development can occur early.

16 And finally, I'm very impressed with the enthusiasm
17 of the community here compared to some of my own
18 experiences. But I want to say that GEM has a commonality
19 of purpose with other groups around the U.S. And they will
20 be very much encouraged not by -- not only by your
21 enthusiasm in GEM but also by your successes. And
22 encouraging action -- the potential encouragement of action
23 to fund these other groups that also would like to do
24 things similar to what GEM is doing here. And so our eyes
25 are looking toward you in that sense.

1 MS. McCAMMON: We're going to take a three-
2 minute break. And please don't leave the room because we
3 do have to be out of here by 5:00 o'clock today. So we're
4 going to do this switchover real quickly.

5 Thank you very much.

6 (Off record)

7 (On record)

8 MS. McCAMMON: Okay, we're going to get
9 started now, so if you could take your seats. I guess
10 we'll go from left to right again, since it's linear and I
11 tend to be a linear type person. Our first speaker here is
12 Tom Malone, who as I mentioned earlier is the other co-
13 chair of the U.S. GOOS program. He's with the Hornpoint
14 Lab at the University of Maryland. Tom.

15 DR. MALONE: Thank you very much. First of
16 all, I want to thank you all for the opportunity to be
17 here. One of the valuable things for me is I always learn
18 a lot from these interactions. It's like new blood in the
19 poker game and new information. I want to reiterate
20 something I said yesterday and something some of the
21 speakers earlier said and that is GEM is potentially an
22 incredibly important program in terms of being --
23 potentially being a prototype for what is needed in terms
24 of regional development of coastal ocean observing systems
25 throughout the United States. And so I encourage you to

1 proceed in the directions that you started so far.

2 The second thing I want to say is Ted said
3 something in the last panel that is incredibly important
4 and that is you're in a unique position in terms of funding
5 to be able to start off slowly. Not all programs have that
6 capability, especially those that are funded by the Federal
7 government. Take that advice. That's extremely important.
8 And in that context -- and I say this -- in some ways it's
9 a no-brainer but it's incredibly difficult to do. I've
10 been involved in a couple failures in this regard myself
11 and that is get modeling and data management out in front
12 of the design process. You heard many speakers talk about
13 the fact that there's a lot of data out there that has yet
14 to be brought to bear on the questions. You've got a lot
15 of work that's been done on models, et cetera. I really
16 think that you're in a position to use models to do a
17 variety of things.

18 Let me say a few words about data management first
19 and then modeling. In terms of data management, I just
20 mentioned the need to mind existing data. I would take a
21 little exception to something Charles said and I understand
22 the dilemma in terms of designing a data management system.
23 One of the problems we face in terms of past data
24 management systems is that they have been pretty much
25 designed from the perspective of just capture as much data

1 as you can or designed from the perspective of the so
2 called data provider. Very few, if any, have ever been
3 designed from the perspective of the data users and how the
4 data's going to be used in the first place. And while
5 there has to be some reality in this I think that you
6 should not throw out the idea of thinking about how the
7 data's going to be used as much as possible up front in
8 that regard.

9 The other thing in terms of data management is I
10 really believe that we're on the verge of making a
11 transition between having to rely almost exclusively on
12 sampling and measurements and analyses that take lots of
13 times to complete to systems that are more and more
14 dependent on real time data telemetry. In those areas
15 where we're doing that right now, where people are using
16 that kind of instrumentation, we kind of suffer a paradox.
17 And that is too much data and too little data. On the one
18 hand we've heard a lot about having too little data to be
19 able to really adequately describe these systems, to
20 develop the models, to make the predictions, blah, blah,
21 blah, blah. On the other hand, if you've ever been
22 involved in some of these programs that are continuously
23 collecting data, be it satellite data, be it from in situ
24 moorings, be it from towed instrumentation where you've got
25 continuous streams of multidisciplinary data coming in,

1 they're overwhelmed by it. And why are they overwhelmed by
2 it, it's because they didn't think through the assimilation
3 techniques that they're going to need to assimilate that
4 data in ways that they could use it to feed models, for
5 example. So the more you can get that kind of thinking and
6 planning out in front of this whole process, boy, I think
7 the better off you're going to be.

8 In terms of modeling, I really think that you have
9 enough information on this system right now to develop and
10 steps have been done in this regard to develop the
11 conceptual framework, the conceptual models that you need
12 to provide a framework for not only organizing the
13 knowledge that you have but for helping to set priorities
14 in terms of what you're going to build into the long-term
15 monitoring program. There are three other aspects of
16 modeling and there's been a big emphasis on probability
17 based forecasting, which is important. But I don't think
18 you need to hang your hat totally on that. Modeling is
19 going to be extremely important and continue to be
20 important in terms of developing a better understanding of
21 the system by making predictions and testing those
22 predictions to find out what you know and what you don't
23 know and that sort of thing.

24 The other aspect I think that is important to
25 consider is that -- is the kinds of model outputs that are

1 going to be important for public outreach and science
2 education. These tools are tremendously powerful and that
3 could be an extremely important aspect of GEM as it
4 develops. My final comment is on this whole issue of
5 specifying the data products first before you start
6 deciding what you're going to measure. Again, I don't
7 think this is a linear A to B kind of thing. It's going to
8 be a little bit of A to B and a little bit of B to A in
9 terms of specifying products. But there really should be
10 an attempt -- a serious attempt, and, again, I say this
11 because it's not an easy thing to do, and that is to
12 specify the kinds of products that are going to be needed
13 by various user groups or know that you can't be all things
14 to all people. But really put some effort into that so
15 that you can then ask the question, okay, what kinds of
16 models and analytical techniques do we need to be able to
17 produce those products. Then you ask the question what
18 kind of data do you need to feed those models. That tells
19 you the variables that you need to meet.

20 Now we're always going to find, especially right
21 now, that there are many things that we don't understand
22 about these systems. That we can't really go through that
23 process but you can use that process to also identify
24 priority research areas that are going to be required to
25 develop the models or required to learn what kinds of

1 variables need to be measured and what times and space
2 scales. So I'm going through all of this just to try to
3 emphasize the fact that this really needs to get up front.
4 I don't know what it is about scientists because every
5 program I'm involved in, even those that were funded
6 specifically to do that and which we said we would do it,
7 we didn't do it. We had to go out there and make some more
8 measurements before we could get into modeling. You've got
9 an opportunity to do that and I really, really recommend
10 you do so. And I wish you the best of luck. Thank you.

11 MS. McCAMMON: Thanks, Tom. Our next
12 speaker is Brock Bernstein, who's a private consultant from
13 California. And Brock specializes in developing and
14 reviewing monitoring systems.

15 MR. BERNSTEIN: So I come at this from the
16 perspective of having been involved in the design and
17 evaluation of many different kinds of monitoring programs,
18 large and small. And basically I want to say what he said
19 because the problem with science driven programs is that
20 scientists always can think of more to study and more data
21 to get -- to capture and to collect. And I would -- I
22 can't encourage you strongly enough to start building on
23 the framework that was developed in that -- in the folder
24 we all got, the notebook we all got. I thought it was a
25 courageous attempt to put some structure on a really huge

1 and difficult and complicated problem and to push that
2 structure as hard as you can.

3 And in the groups that I was in we found lots of
4 things wrong with it, places where it fell apart, places
5 where it didn't go far enough. But what I -- the
6 usefulness that I saw in that was that everybody used it as
7 a very concrete starting place from which to push their
8 understanding of the system. And in that regard it's
9 incredibly useful. And what I would encourage you to do is
10 to start building right now the frameworks for data
11 synthesis and data analysis, whether it be modeling or time
12 series or GIS maps or whatever, and to use those to then
13 start fine tuning not just the framework but the studies
14 that would be needed to use to develop it further and to
15 also start distinguishing between competing conceptual
16 models.

17 You don't need to hang your hat on just one. You
18 can definitely develop alternative scenarios for how this
19 system works and then use those to start identifying how
20 you would choose between them and what sorts of synthesis
21 you would need to do. Because without that sort of an
22 organizing framework it's so easy to fritter all this money
23 away and this tremendous opportunity on just collecting
24 whatever seems like it's useful and interesting at the
25 moment.

1 Thanks.

2 MS. McCAMMON: Our next speaker is Jon
3 Isaacs. Jon is with URS Corporation. He's a private
4 environmental contractor who has been a peer reviewer on
5 and off for us on various projects and has worked a lot
6 with communities throughout Alaska evaluating different
7 programs and projects. Jon.

8 MR. ISAACS: Thanks, Molly. I remember in
9 the mid-'90s when I got a call from Bob Leffler when he was
10 at EVOS and it was kind of, Jon, we have these grant
11 applications in. We have some social science ones and we
12 don't quite know what to do with them. Would you mind
13 coming over and taking a look at them? And it was part of
14 a group that included Bob Spies and others and looking at
15 applications. It was the first time I think we had seen
16 some of the applications come in from the villages and the
17 communities and community involvement and monitoring. And
18 there was really a lot of effort put into them. There was
19 some really great ideas but it was obvious that they hadn't
20 had much experience putting together grants and
21 applications.

22 And under the scoring process, you know, this
23 effort didn't really bring the results because they just
24 didn't compare and weren't scored and didn't hold up well
25 compared to some of the applications that had been put in

1 by the universities and the scientists. But I think to the
2 credit of EVOS and the Trustees they recognized the need
3 and the interest there and they started putting effort into
4 working with the communities and the regional groups.
5 There was a subsistence conference that was organized
6 probably about three or four years ago. And I see a lot of
7 the folks here who were here then. And there's been a lot
8 of effort put into supporting community monitors and
9 funding different community elements. It's been an
10 evolving process and there's a need for continuing
11 evolution.

12 We had a really great group of folks today at the
13 workshop and came up with a lot of ideas. You can see some
14 of our papers there on the back wall. And in the end we
15 sort of asked what are some of the main points to bring up
16 to summarize for this conference. One of the first ones
17 was to provide a decent mechanism for getting the
18 communities involved in terms of community monitoring and
19 incorporating traditional environmental knowledge. There's
20 a real need for training so that the local folks can be
21 involved in data collection, data entry and also provide
22 them access to the data once it's been collected, to have
23 some feedback on what the research has done that they can
24 use.

25 Another part of the mechanism is, you know, these

1 sort of meetings are great but there's really a need for
2 more small regional workshops where people can get
3 together; they can share ideas; they can interact, not be
4 presented to and come up with sort of different work plans
5 and compare some of their notes across what's a fairly
6 large region. There's also a need to continue to fund
7 programs that exist that are really valuable like the Youth
8 Area Watch. They can be used to both educate, create new
9 leadership, new participants in these programs and use them
10 for data collection.

11 Second point has to do with the challenge of how do
12 you integrate traditional knowledge and scientific
13 knowledge and take advantage of some of the resources you
14 have out in the communities. There needs to be some
15 standardized measures for involvement. You need to develop
16 protocol for data collection, for reporting, for
17 observations, so that you can get standardized data and
18 regular data in from the communities. Standardized
19 training programs so that everybody in the different
20 communities are being trained the same way to collect the
21 same data. There's a lot that you can do in terms of using
22 some of the existing monitoring information and platforms
23 to share data. There's a lot of different networks out in
24 the communities.

25 People mentioned the GLOBE [sic] program which is

1 out there, which is a computerized interactive program
2 where you can enter data; you can get data back and you can
3 see what's going on in different parts of the country.
4 There needs to be sort of a standardized mechanism for data
5 collection techniques that use -- that can be widely used.
6 But they have to be things that aren't too complicated,
7 aren't too expensive. There also needs to be standard
8 procedures for quality control and reporting because we
9 know one of the areas of skepticism is how good is the data
10 that you get back from the communities. If you have
11 protocols, if you have quality controls, standardized
12 reporting, there should be no reason not to use these
13 resources.

14 There needs to be a long-term commitment to support
15 the infrastructure out in the villages. EVOS has been
16 making a great effort but, you know, it takes time and
17 money. It takes money to travel, have people go back and
18 forth. A lot of the communities are still lacking decent
19 internet access and adequate servers to be able to
20 communicate with each other. There also needs to be some
21 looks at commitment to long-term management structure.
22 There is a lot of interest out there in terms of co-
23 management and there are a lot of programs that already
24 exist. And if you can have co-management, you can sort of
25 formalize some of the resources, the trading of

1 information; you can develop protocols; you can provide
2 training. And what you're doing is you're building
3 capacity, building resources in the community and you're
4 also creating equity and partnership and you're giving
5 people who are resource users a voice in some of those
6 decisions. And what sort of data should be collected; what
7 do they need? Adequate funding for the coordinators for
8 travel costs for some of the programs and the monitoring.

9 One suggestion was don't treat community monitoring
10 and traditional knowledge as either token or an after
11 thought. And I don't think there's an intentional action
12 to do so because I think there has been evolving commitment
13 on the part of EVOS. But when you still look sometimes at
14 the scientific emphasis in the community and the TK
15 emphasis it can come across that way. If you look at the
16 use of the community monitoring TK, it can really enhance
17 the value of GEM. And if you start training the local
18 participants, you're getting the best of both worlds.
19 You're getting a traditional knowledge, that community
20 monitoring, that local experience and you're increasing
21 their scientific capability. You're going to get much
22 better data. You're going to get better people in the
23 villages.

24 I think there's a lot of models out there that can
25 be used for this sort of work. And the other thing is when

1 you have the monitoring, the TK, it builds trust and
2 partnership in the communities. They're going to bind --
3 the results are going to bind to some of the management
4 measures and they're going to help with the implementation.
5 Another suggestion was that really each element of the GEM
6 program should evaluate and ask the question how can you
7 incorporate community monitoring and traditional knowledge?
8 If you look at a lot of the elements and then your book,
9 and for almost every one you could probably ask that
10 question and come up with some way, how can you use the
11 community to monitor, how can you incorporate the
12 traditional knowledge? And along with that you consider,
13 you know, what are some of the user driven issues? They
14 may have research questions and needs that are very
15 different than the scientific community but just as valid.
16 You should be asking the communities what are their
17 research questions and needs; what sort of research should
18 be done? And I think also by having them involved in
19 reviewing some of the programs they may have some better
20 suggestions of where to monitor. They may know where to
21 look for, you know, sea lion populations, where sea otters
22 are going to be. They might give you better research if
23 you involve them at the outset rather than having it as an
24 afterthought.

25 And then the last one was to set some priorities

1 for community monitoring and traditional knowledge. I
2 mean; you can start with the basics, with some practical
3 projects, and then grow. I mean, there are a lot of ideas
4 out there and take a start with some of them and see what
5 you can implement. Some other quick observations, there's
6 a heck of a lot of resources and programs out there. I
7 don't think anybody has a really good inventory of who's
8 doing what in the communities and I think that's one thing
9 that's needed because you'd be surprised how many folks are
10 out there collecting data, how many regional structures,
11 how many village structures are out there that can be used.
12 And that way you can maximize involvement and return to
13 research in GEM. There's a lot of new technology that can
14 be used, things like, you know, video and microphone
15 monitoring that are used in some of the remote islands to
16 track what's going on. That can be hooked up into a
17 computer and transferred back almost immediately.

18 The geographic distribution of the communities is
19 an incredible asset. If you can set up standardized
20 procedures in monitoring those communities, it allows you
21 to take a look at variables on sort of a large scale, deal
22 with some ecosystem and large scale change issues as
23 compared to individual site research. You can sort of see
24 what the variability is between communities and sort of the
25 larger picture. And then, finally, many of these

1 communities and regional organizations are setting up their
2 own resource managements plans. They're looking at co-
3 management. They're going to have tribal or regional
4 management plans. They would really welcome advice,
5 welcome support and training from agencies so they can set
6 up their programs that serve them best but are also useful
7 to provide information that others can use. They're really
8 looking for a partnership here. So I think, in conclusion,
9 you have a great resource available with the communities.
10 They're eager to help with research. They're eager to help
11 with management and they appreciate the ability to
12 participate and work with you all. And I would like to
13 thank everybody in my workshop for all the effort they put
14 in today.

15 MS. McCAMMON: Thanks, Jon. Our next
16 speaker is Karen Murphy and Karen is currently with
17 Department of Interior's wildlife refuge system. But she
18 was formally with the Forest Service and when she was with
19 the Forest Service she was detailed to the restoration
20 program and was one of the early architects, I guess, of
21 the Restoration Plan. And as such she has lots of history
22 knowing that the Trustee Council thinks nothing of tossing
23 out plans and starting fresh. So if we don't get it right
24 the first time, we'll do it again. But as such she was
25 also a big proponent of trying to make sure information was

1 brought to the resource management level. So, Karen.

2 MS. MURPHY: Thank you, Molly. Although
3 I'm not sure I learned my lessons very well because when
4 you first called me and asked me to do this I thought,
5 sure, you know, I'd like to do that. I like doing this
6 sort of thing and it'd be fun. Then I got the notebook and
7 I sort of panicked; how am I going to adequately facilitate
8 a discussion from a resource management perspective with
9 all the different themes and all the different ways to look
10 at it? And so I have spent the last day and a half until
11 actually this session, late morning and this afternoon,
12 listening to each of the sessions that I attended and
13 trying to hear from the perspective of management issues
14 and concerns and how GEM -- what sort of role would be good
15 for GEM to play. And it's been sort of really interesting
16 to sit here and listen to this panel because even though
17 we've attended different sessions the comments are very
18 similar. I didn't even know Jon was here yet much of what
19 he just said I can repeat right now. From the standpoint
20 of, you know, what I've heard people talking about from
21 resource management perspectives is very positive in the
22 sense that there seems to be real common agreement that a
23 long-term monitoring program that is set up to detect
24 change and help us understand what the Gulf of Alaska
25 system is. And if we can pin down the variables, which is

1 the big catch, that we want to measure, there's real belief
2 that that information will be very useful to us in the
3 future. We all recognize that management issues change and
4 we -- management agencies tend to deal with the current
5 issue, you know, what we need to address right now. But
6 often we end up relying on these datasets that we never
7 dreamed would be important in providing that information to
8 us.

9 So one of the things that I wanted to talk about,
10 you know, we've heard interest in making sure that the
11 users help select those variables. And I think they really
12 need to be involved in that both -- not just managers but
13 stakeholders and, you know, users in general. But also to
14 keep in mind that we really are looking long term and we're
15 not just trying to capture the things that affect us right
16 now and that might provide useful information right now.
17 But we're trying to get those variables that detect change
18 over time that we might be able to use in the future. The
19 other thing is that there's real recognition that the
20 synthesis part is hugely important in this and if you're
21 going to get the information out where we're going to use
22 it, that's probably one of the key roles that GEM can play.
23 And I've heard other speakers of panels talk about a need
24 to synthesize other oil spill information that's been
25 collected in ways that we haven't done so far. But there's

1 also information that's been collected outside of the oil
2 spill process and that information may not even be
3 analyzed. But it certainly hasn't been integrated in a way
4 that GEM might be able to provide an ability to integrate
5 that data and give us another picture and another piece of
6 the puzzle for what's going on in the Gulf of Alaska
7 ecosystem right now.

8 And the last thing is just, again, an encouragement
9 to make sure that we use -- kind of in our partnerships not
10 only with other agencies and with the resource managers,
11 but to look for the ways that we can capitalize on user
12 groups that are out there. And whether it's the commercial
13 fishing industry or, you know, the cruise ships that
14 regularly go through the area that we're interested in,
15 they can really provide us with a lot of information that I
16 think would be extremely valuable to answering a lot of the
17 questions that will arise in the future because they can
18 provide a lot of the extra information that, maybe real
19 site specific monitoring, that we have that real continuous
20 time series for can't answer. So good luck.

21 MS. McCAMMON: Thanks, Karen. Our next
22 speaker should be familiar to a lot of you. George Rose is
23 with Memorial University of Newfoundland. He's what makes
24 our program international. And I think he got his first
25 start with the program in the early days of the SEA program

1 in Cordova and since that time he has been one of our core
2 reviewers.

3 MR. ROSE: Thanks, Molly. One of the goals
4 I have is to get Molly to pronounce Newfoundland correctly.
5 But, anyway, since you mentioned it, Molly, you know, I've
6 been worried ever since last night as to what kind of a
7 tree I am. The problem that I have is where I live we only
8 have these stunted spruce. So it doesn't give me much
9 variety. Anyway, I think one of the things that I can
10 bring to this process and probably why I'm here is that
11 being from an old fishing culture we've already made most
12 of the mistakes. So while we don't really know exactly how
13 to do it right; we certainly know really well how to do it
14 wrong. And a lot of the things that I'll probably say and
15 a lot of my feelings about this stem from that.

16 One of the things we're trying to do in
17 Newfoundland right now is similar to what you're thinking
18 in Alaska and what people are thinking right now around the
19 world and that is long-term processes in the ocean, how to
20 deal with these and so on. And one of the things we've
21 tried to do, initially we realized, is to go back and try
22 to identify and integrate all of the existing and potential
23 data that are out there. And that's one thing that I kept
24 hearing here in almost all of the sessions that I was
25 involved in was I kept on hearing things going by me here

1 and there about, well, you know, there's this data over
2 here; then there's this data over here. I mean I have no
3 idea but I am led to believe and I know enough about the
4 situation here that there are many existing programs, many
5 fairly long-term data series that already exist and will
6 continue in the future, which is very, very important.
7 We're looking here at long-term processes and the
8 continuation of those data series is probably paramount.

9 So I think that one of the most important
10 contributions that GEM could make is to do that, is to
11 identify and integrate the existing and potential data
12 that's there and to try to act as a sort of an honest
13 broker among the people that may have these data and will
14 have them in the future and provide a means to put these
15 together. And then this leads to some of the other things,
16 which I'm not going to talk about because it's not my
17 specialty. But in terms of data storage and data
18 management and all of that mumbo jumbo, it's -- that is an
19 important part of this and GEM could really play the role
20 of broker in that. And I think that would be a major,
21 major accomplishment to bring things up to date right now
22 before anything is done in the future. So that's one thing
23 that I think came through this. And our experience in
24 Newfoundland would certainly suggest that that's a very
25 important thing.

1 Another thing is to try to identify what the long-
2 term questions of importance are to management and the
3 communities and the fishing interests and so on. What are
4 those long-term questions? And we had a long discussion in
5 -- particularly in one of the groups about short term goals
6 versus long-term goals and so on. But it's always struck
7 me that the real unique thing about this GEM program --
8 because, you know, there's so many of these programs going
9 on all over the world that have short term goals. There's
10 a bazillion of them everywhere. The thing that's really
11 unique about this program -- and it really is unique. I'm
12 sure most of you realize how unique it is but if you don't,
13 you should stop and think about it, is the aspects of this
14 that involve the long term, the long haul and the ability
15 to make measurements over a long time period, which is, I
16 think, unique in the world right now. I don't think
17 there's another opportunity like this that exists anywhere.
18 And that's the thing that I think should be really, really
19 stressed.

20 Now what are those questions? Well, I think, you
21 know, I don't know what they are but I think that you've
22 got to get the people, the stakeholders, involved in that
23 and management involved in that to try to identify what
24 those questions might be. And there was a lot of talk
25 about sort of short term fires and putting that all out.

1 But putting fires out and people from ADF&G, of course, you
2 know, will claim that that's all they do but my response to
3 that is sort of, well, you know, the reason why that is,
4 the reason why we have to put so much effort into fighting
5 fires and into the short term thing is because we don't
6 understand the long-term picture. So if -- you know, if we
7 just keep on doing that, if we keep on fighting fires,
8 well, that will be it. I mean that's all we'll ever do.
9 So, you know, the clean break, I guess, is to put the
10 priorities on the long term.

11 It doesn't mean as some people might interpret and
12 then the short term stuff gets short shrifted or it doesn't
13 get attention. I don't see it that way at all. I don't
14 think that there's any incompatibility at all. I think
15 through the long-term project you will be able to address
16 the short term goals but not the other way around. And I
17 think that that's something that's really a key to the
18 success of this problem.

19 On the overall model, the conceptual model we were
20 all asked to look at and think about and so on. I had a
21 similar reaction to this as some other people have already
22 spoken to. I thought it was a little bit narrow and
23 probably inadequate as it's stated. I started to think
24 back on, you know, if this is a kind of a bottom up
25 approach and there's not a whole lot in here, at least it's

1 not real specified about top down predation effects from
2 both animal predators and the most important predator out
3 there often, which is us, there's not a whole lot in there
4 about this. And I started to think about our ecosystems
5 back home and, you know, how would we do if we just had the
6 physical models. Well, I can tell you right now we
7 wouldn't do anything. It would just fail entirely to
8 capture what we'd like to capture in long-term monitoring.
9 So I think, you know, incorporating the -- some of the top
10 down effects, particularly the human elements in this are
11 really very, very important.

12 And I'm sure that, you know, other people have
13 spoken to this issue as well and I'm sure this is not in
14 any way an original thought but I'd just like to stress
15 that from the view of ecosystems in the north Atlantic that
16 are older in the sense, not older geologically, although
17 perhaps they are that, too, but older in the sense that
18 they've had human interactions and longer data bases and
19 been studied longer and so on, that you cannot overlook the
20 top down effects, particularly from humans. They may in
21 fact override all the physics in the end. So that's a note
22 of concern. And the other thing, we did the forage fish
23 business and we decided, well, we first of all couldn't
24 decide what a forage fish was. My own bias is I don't like
25 the term at all but I, you know, don't want to dwell on

1 that one. Forage species anyway, what is food for the
2 animals in the ecosystem and the people in the ecosystem?
3 If we look at it as forage species, this is probably a key
4 to this. And one of the things that came up time and time
5 again, and I know this is true, is that these critters are
6 often very, very difficult to assess and to measure and to
7 get a real handle on. We're talking about sort of the
8 large -- everything from the large zooplanktors, which are
9 really important, up through the pelagic fishes and so on.
10 Many of them are very difficult to measure and a lot of
11 times that's a real hole. There are not good data series
12 for these sorts of things. Maybe that's something that
13 should be considered in the gap analysis, that that's a
14 major gap and a major contribution that GEM could make.

15 I also thought a little bit, and we kept on coming
16 back to sort of various strategies that GEM might use and
17 one of the sessions that we did was on -- we had the triple
18 interaction, you know, the sort of triple whammy stuff.
19 And this was really amusing because, you know, it's easy
20 enough to talk about food or habitat or removals in
21 isolation. I mean, God, we know how to do that. We've
22 been doing that for 100 years and we know how far that
23 gets, nowhere. And, you know, our fisheries models that
24 are basically based entirely on fisheries removals, in a
25 lot of cases have failed us entirely. And we know where

1 that road is going to go. Now getting beyond that is not a
2 trivial matter. It's very, very difficult from many, many
3 standpoints. And we discussed this at length in terms of,
4 you know, what type of a sampling design could you possibly
5 dream up, what type of a conceptual model and then followed
6 with a design that would test it, could you dream up that
7 would get at this multiplicity of potential interactions in
8 a system. And this is a very, very difficult question to
9 answer and I think something, that if this is an important
10 question, I'm not suggesting that it is an important
11 question, but if it turns out to be a very important
12 question, it's going to take a lot of work. Some of the
13 things that did come up in discussion, which I thought were
14 kind of interesting, were the ideas of using a kind of a
15 regional nested design to do this study.

16 This brings in the scientific aspects of scale,
17 which have been talked about and you're probably all
18 familiar with that and other people have mentioned it so I
19 won't dwell on it. But those types of strategies of how to
20 actually implement a program which will test hypothesis and
21 provide monitoring of interactions over the long haul, that
22 may be a way to get at this because you can get at the
23 comparisons through geographic areas. The other thing that
24 came -- I think this was actually my suggestion so nobody
25 picked up on it but I'm throwing it out again, yeah, we're

1 stubborn, is the idea of adaptive management as a way to
2 get at some of these problems. Adaptive management, if
3 you're not familiar with it, is a fairly, fairly old
4 concept and I think Carl Walters is the one who pushed it
5 maybe 15 or so years ago. And the idea that when you have
6 complex systems like this where you've got the effects of
7 natural resources of people and of natural factors, one way
8 that you can try to tease out the differences is by
9 applying different management regimes in different areas.
10 This comes again down to a sort of a regional scale
11 approach to things and see what happens. This is a way you
12 can learn perhaps what the effects are in a more rigorous
13 manner. So this is something that hasn't been used a lot
14 in the world, to be truthful, because it's so damn
15 difficult to apply. It involves a lot of cooperation
16 between management and users and science and so on, which
17 is difficult to attain but I would throw it out as don't
18 just eliminate that concept because it's difficult. That
19 may be in the end one of the only ways that you'll actually
20 be able to answer some of the questions that you may want
21 to answer. And it may be that some of these interactive
22 questions following the old methods are just unanswerable
23 and you'll have to face that.

24 The last thing I wanted to talk about is just in
25 methods, standardization of methods and other people have

1 mentioned this. This is not a trivial matter. I just
2 think back, you know, if 100 years ago we were sitting here
3 saying, you know, how are we going to design a monitoring
4 scheme for the next 100 years, you know. We'd all be out
5 here with our mercury thermometers, you know, and we
6 wouldn't even have a trawl. I mean we'd just have a sort
7 of baited line to catch the fish with, you know, and so
8 we'd say, okay, well, we got a standardization so we'd have
9 that -- we'd have our little standard hook and our mercury
10 thermometer and then, you know, as time marched on and all
11 the technology changed and everything, what would we do? I
12 mean, I know a lot in fishery surveys what happens, people
13 will say, oh, yeah, we've been doing it wrong all these
14 years. But, you know, that -- we're going to keep doing it
15 because that's the way we've always done it. So there's a
16 problem here which is not trivial in terms of a long-term
17 monitoring program of standardization but recognizing the
18 fact that the technologies are going to change, the people
19 are going to change. You know, you and I are not going to
20 be here in -- well, I hope we're here for awhile but, you
21 know, it won't be that long. And, you know, there'll be
22 other people around and they're going to have to do this.
23 So this is, again, something I think GEM's going to have to
24 think about.

25 My last -- very last comment, it's kind of hard to

1 shut up sometimes. But my very last comment that I was
2 thinking about that always comes up in Atlantic Canada is
3 -- when you talk about things like this is why are we doing
4 this; who are we doing this for? And a lot of people
5 think, you know, are we doing this for the ducks; are we
6 doing this for the marine mammals? And, you know, my
7 answer to this -- this is my sort of for whom the bell
8 tolls question, you know, I go back to the people that I
9 deal with, the people that I live with in Newfoundland, and
10 I say, no, for whom the bell tolls, it tolls for you and
11 that's where we have to get that across if this program's
12 going to be successful. Thanks.

13 MS. McCAMMON: Thanks, George. Our next
14 speaker is Josie Quintrell. Josie is a planner with the
15 state of Maine and she's working on the infamous GoMOOS
16 program, the best acronym out there.

17 MS. QUINTRELL: Thanks. Yes, we've gotten
18 a lot of attention with GoMOOS. I am with the Coastal Zone
19 Management Program in the state of Maine and we have been
20 working for the last year and a half on starting up a Gulf
21 of Maine Ocean Observing System. And it's a real treat for
22 me to be here and also just -- it's what you have starting
23 before you is just such an incredible opportunity. I'm
24 going to try and make my comments brief because it's at the
25 end but I wanted to just give you a little bit of

1 background of what GoMOOS is about and maybe that will help
2 you realize what a special situation you have before you.

3 We are -- while you're sort of focused on
4 environmental monitoring we are really looking at doing
5 observations. We have two years worth of funding. Our
6 goal is to be long-term and sustained. We have an initial
7 funding for two years, maybe even for three. So that is as
8 long as our long-term plan sustained funding is at this
9 time. We have our goal to be as, you know, 10, 15, 20
10 years. So to hear people sitting around this meeting and
11 talking about 50 to 100 years is just such an exciting
12 possibility. We are very much focused on physical and
13 optical measurements linked with codar long range radar
14 measurements, which will be pulled together with models.
15 And our goal is to make our information available to a
16 variety of users in a real time or near real time basis.

17 And what that means is our user community is very
18 varied. We are looking at working with the shipping
19 industry. Harbor pilots are very interested in what we're
20 doing because the information we have is very spotty in
21 terms of just, you know, what the wave conditions are, what
22 the weather conditions are. The lobster industry in the
23 state of Maine is very interested in our information
24 because of the larval transport of larvae from one end of
25 the Gulf of Maine to the other. And they want to start

1 using that to better understand what future stocks will be.
2 The oil industry is interested to sort of -- in
3 preventative terms or tracking terms. The marine insurance
4 industry is interested in this, you know, what they can
5 learn from this kind of data. So my comments are going to
6 focus a little bit from, you know, my view from the East
7 Coast looking to the west.

8 And there's been a lot of comments in the sessions
9 I attended about users. And the one thing I would say is
10 is you need to be a little bit sophisticated in trying to
11 decipher what users need. The worse thing you can do is
12 say what do you need from a monitoring system because if
13 somebody came to me working in the coastal policy realm
14 that I do, I would, you know, give you a blank stare back.
15 And I think this is where we can learn some lessons from
16 the market research industry. You don't ask people what
17 they need. You sit down and learn what it is they do and
18 then how you can help them do their job better. And it
19 takes -- it's a bit more sophisticated but you need to
20 understand what it is the users are trying to do and then
21 what it is that you have in terms of your infrastructure or
22 your data and then how you can apply that.

23 Another theme I sort of have been aware of is I
24 still think that there's a tension between monitoring and
25 research in GEM. And when I came and I heard that you had

1 six million per year, to me that was a lot of money and I
2 thought, wow, that is just an incredible opportunity. But
3 in the sessions I sat in I realized each individual session
4 could have spent the six million. And so it's going to
5 take some backbone, I think, to create the backbone of GEM.
6 It's really going to take some time to clarify what it is
7 that GEM is going to do in a monitoring long-term role,
8 vis-a-vis, the research, hypothesis driven research, and I
9 still see some tension there. I'd like to reiterate what
10 Tom said, which is, you know, we got our funding in June.
11 We are going to have our moorings deployed. We have our
12 first mooring deployed. We're going to have our moorings
13 deployed next spring. You know, we are -- you know, we got
14 the money and now we have to spend it. You do have the
15 opportunity to be a lot more thoughtful, careful, to start
16 slow and then build. And that is a real gift and make the
17 most of that.

18 On the data management we learned the hard way. We
19 thought we thought about data management but what we're
20 turning into we realize is really a data management
21 operation, how to take the data and disseminate it. And we
22 didn't budget near enough for that. It's very complicated.
23 You're dealing -- I mean I won't reiterate. I think other
24 speakers have spoken to the needs. But in many ways, you
25 know, a monitoring system is a data management system. And

1 to that end I will say that I think one of the most
2 important things is to make sure you get products out there
3 in an immediate user understandable way. And this may take
4 working with public relations people or that the people who
5 can understand and translate science -- scientists are
6 sometimes not the best people to articulate or communicate
7 to the public. It's a real art and I think that you need
8 to get feedback to the variety of user groups of what GEM
9 is going to be doing. And the web is one excellent
10 opportunity to do that. It's not the only opportunity but
11 it is an amazing tool. And I wouldn't worry too much about
12 getting specific data products at first, start general.

13 Lastly, we were -- I did sit in on a synthesis
14 workshop and I think the big theme that came out of that
15 was what is written in the plan is really not a synthesis
16 plan but an outreach plan. And that there is a real -- a
17 key role that GEM could play in this area is both synthesis
18 and integration. And this would happen at several
19 different levels, one is a scientific synthesis within a
20 discipline but then between disciplines. And that's
21 something that I think a lot of people were not -- had
22 articulated wasn't happening. But then the synthesis in
23 the feedback loop that Tom had talked about yesterday
24 between resource managers, users and scientists, and that
25 needs to be thought about and moved forward.

1 I have a lot of other comments but I think I'll
2 submit them in writing and do that. But the one thing I
3 will say is that I think GoMOOS and GEM and perhaps Gulf of
4 Mexico, we all have a lot of commonalities between our
5 programs and I think we can really learn a lot from each
6 other. I've learned a ton from being here and I hope that,
7 you know, we can share information as we move along. And I
8 just wish you all the best of luck.

9 MS. McCAMMON: Thanks, Josie. Our final
10 speaker on this panel is Bob Spies. And Bob has been Chief
11 Scientist to the Trustee Council since almost the beginning
12 and he's been involved with the spill and the spill area
13 almost since the beginning. So, Bob, would you like to sum
14 up here?

15 DR. SPIES: Thank you, Molly. I'd like to
16 make -- do two things, make a couple of personal
17 observations that are somewhat -- and many of them are
18 somewhat repetitive because, coming at the end, I think
19 most of the exhortations have been made but maybe many of
20 them might bear a little bit more emphasis. And then I
21 would like to move on to just a few general comments.

22 First of all, I think that everybody has agreed for
23 the need of synthesis. But I think the reality of the
24 situation is that this program is probably going to get off
25 the ground at some stage in the next several years and we

1 need to put that synthesis on some sort of track that will
2 produce early results and give us a little more information
3 before we go into a full-blown program. And in that
4 connection this idea of starting small with a few core
5 measurements that we know are going to be very important,
6 continues some important series of observations, I think is
7 going to be extremely important to focus on. And not only
8 from the standpoint of what those core measurements -- a
9 small group of core measurements can capture some both
10 physical and biological characteristics of the systems that
11 we -- of the ecosystem that we know to be important. But
12 also from the standpoint of institutionally, there's a lot
13 going on out there in a lot of different agencies. And I
14 think kind of linking and integrating other efforts
15 together is going to be a long-term effort. It takes a lot
16 of time to get in and talk to other scientists and groups
17 of people that are working on similar problems and to see
18 where the commonalities are, see where the integration can
19 take place. And I think putting a big program in the field
20 to start with is probably not consistent with a very
21 efficient use of funds and effort along those lines. So
22 I'm very much a fan of starting small and building slow.
23 And a number of speakers have also emphasized that point.

24 Tom Weingartner said something very interesting and
25 it relates a little bit to the conceptual model, which I'll

1 talk about next. But it's very, very interesting, just
2 from the standpoint of oceanography and what we know about
3 how organic matters produced in the ocean and why some
4 areas are fertile and why some areas are not, that the Gulf
5 of Alaska seems to have several strikes against it from the
6 first blush look at the physics and the way the climate
7 works in terms of a lot of inshore stratification of
8 freshwater, a downwelling system and so forth. It kind of
9 mitigates against, one would think at first, a very
10 productive system. So trying to grapple with that basic
11 question to why is the Gulf of Alaska so productive then
12 and asking at the same time how do we see these long -- why
13 do these very long-term fluctuations that are quite
14 dramatic that we see and the resources taking place?
15 That's not to discount the important effects of top down
16 processes including fisheries and other sorts of removals.
17 But this is a basic question about the system.

18 There's also been, I think, in a number of sessions
19 that I rotated between the thought that the -- we give
20 serious consideration to some sort of a nested model
21 approach that would look at a couple of different areas in
22 the Gulf of Alaska, maybe Cook Inlet and perhaps something
23 around Prince William Sound and something further at Kodiak
24 or further down the coastal current and Alaska stream
25 system towards the Aleutian Islands. And when these long-

1 term fluctuations take place, and we've seen this probably
2 most clearly in some of the long small mesh trawl datasets
3 that we have, that almost all these -- the regional scale
4 fluctuations and valuable biological resources take place
5 on a local basis. And I think if we can capture those
6 first, we may be able to capture those in just a few sites.
7 And I think we need to seriously consider that sort of
8 approach.

9 I think also Tom Weingartner made the suggestion
10 just in the most recent session that I've gone to that we
11 need to understand in that context how this -- these
12 factors that seem to mitigate at first glance against
13 productivity, what are really the mechanisms that do make
14 it productive and how do those changes get propagated into
15 these local nearshore areas?

16 One of the things that I think we did that was
17 fairly brave is to put forward a pretty aggressive idea
18 scientifically about what the system may be doing in terms
19 of conceptual models. And it was our -- really our intent
20 to get some feedback on those and we certainly got a lot of
21 feedback. And what I would like to move to -- I think
22 there's two things that we need to do in that connection.
23 First, as I mentioned in my opening comments, I think we
24 need to look at the possibility of other alternative models
25 and also make sure that the source of long-term datasets

1 that we have don't focus exclusively on any predominant
2 model but have room as best that we can design it to test
3 other sources of alternative models in the system. I think
4 that's extremely important from the outset.

5 Also the top down processes we've tried to capture
6 and viewing these theme species in terms of removals, and
7 we need to integrate those further into these -- the
8 conceptual model. We need to build a conceptual model
9 because, right now, it pretty much just captures all the
10 biological processes in more of a bottom up fashion. So we
11 need to give more thought and anybody that has ideas on how
12 to do that in a way that's fairly integrated I would -- I
13 think that sort of input would be welcome.

14 I think we need -- in terms of education and
15 outreach I think we need to think of innovative ways to
16 exchange local observations. There are a lot of people out
17 in this environment making important observations on the
18 ecosystem, whether they be fishermen, local villagers,
19 scientists, tour boat operators, what have you, there's a
20 lot of eyes out there. And with the new technologies that
21 we have available, through the web especially, I think
22 there may be some good ways to capture and immediately make
23 available that source of information. So that an
24 individual in an isolated area might be able to contribute
25 both on observations that are very important that may be

1 missed by scientists that are not there at that time or
2 place or other sorts of observers or the instrumentation we
3 may not be able to afford to put in every place. But at
4 the same time those sorts of observations could be
5 contributed -- they could be seen. An individual could see
6 how the overall picture is developing in relation to their
7 model. So there may be some graphic ways to display that
8 in terms of GIS formats that can actually capture on kind
9 of a moving basis what's going on in the Gulf of Alaska.
10 And we might be able to show what all the humpback whales
11 are doing, if there's large congregations of those and
12 their important points of trophic transfer. And once we
13 start to look at this data over the long-term we may be
14 able to understand how we may modify the biological aspects
15 of the monitoring program.

16 The other -- I guess that is kind of the results of
17 my -- I mean the summary of my specific comments on this
18 process, just a couple of closing comments in terms of the
19 program as a whole. Going back to George's analogy of 100
20 years ago what will we do, well, we'd have maybe a mercury
21 thermometer that we would dip in the ocean and sit at the
22 same place and drop a fishing pole with a hook on the line
23 and maybe that is our long-term set. And, you know, one of
24 the problems is we haven't really done that. And in a way
25 I'm thinking that if we -- given all the conceptual models

1 that might be possible and the things that ought to be
2 measured, I think if we come across with a reasonable set
3 of observations that most people think are probably pretty
4 important and we have some ideas and questions and
5 hypothesis, no matter what we do we're going to capture a
6 lot of system behavior if we get some good long-term
7 datasets that are reasonably well placed. And the
8 hypothesis may change with time. The questions may change
9 with time. And the data will undoubtedly be used in ways
10 that we don't really realize. So I'm not perhaps as
11 cynical as some people about, you know, the possibility of
12 doing something really useful in the long term. But if we
13 get a reasonable set of measurements out there and we're
14 persistent in taking those measurements, and over the time
15 they're going to pay off.

16 One of the things that we see in Alaska frequently
17 is kind of crisis in natural resource management. Maybe
18 it's the cruise lines dumping waste this month and two
19 years ago it was the apparent demise of the Bristol Bay
20 sockeye stocks and so forth. And the way the political
21 process works is that these things come up, large amounts
22 of money are allocated towards them and then you look back
23 two years later at how that money was spent and you see in
24 many cases that the long-term observational sets that were
25 needed were never put in place or never started. And so

1 you continually go from one crisis to the next and the root
2 causes of those things were never investigated. And
3 because they can't be -- they're not -- the case is not
4 made compellingly enough in the political arena that we
5 need to do that. And I see GEM as a tremendous opportunity
6 to bust out of that kind of cycle of doing things, that way
7 of doing things. And, you know, I truly believe that the
8 difficulties of this moment are in fact the difficulties of
9 every moment. And once we put some of these long-term
10 datasets in place we may not be able to answer every
11 question that comes up but we can certainly narrow the
12 uncertainties and give much better answers in the future.

13 I would like to thank you all for coming and
14 participating in this conference. I saw a tremendous
15 amount of energy invested in here, a tremendous amount of
16 goodwill in terms of people freely contributing ideas
17 energetically and in really engaging the materials because
18 it was quite a challenge. That binder is pretty formidable
19 in terms of materials that were in it. So I thank you for
20 coming prepared and I thank you for your participation. I
21 was going to make a last comment but thank you.

22 MS. McCAMMON: Sorry to interrupt but we're
23 supposed to be out of here at 5:00, which is 10 minutes
24 ago. My final synthesis is really short because you can't
25 synthesize when you're brain dead. So I just have a couple

1 of thanks yours to our staff, to Paula Banks and Sandra
2 Schubert for organizing the logistics on this, Cherri
3 Womack, Brenda Hall and, Debbie Hennigh, for helping with
4 that; Phil Mundy, Andy Gunther, thank you for doing
5 everything here. Out on the tables we do have an addendum
6 to the participants list for those who didn't preregister.
7 But, you know, we'll acknowledge them anyway. That's out
8 there. Please be sure to fill out your evaluations even if
9 it's on the blue sheet or if you just e-mail us. And
10 remember it's to GEM@oilspill.state.ak.us. All of those of
11 you who reported and took copious notes, your comments are
12 due on electronic form by next Friday. Thank you. And
13 several people have asked us what we intend to do with all
14 of these notes and if you're going to get a published
15 document saying everything that everybody said, no, you're
16 not. But what we will try to get you, we will be putting
17 everything into just, you know, kind of one piece that will
18 be unedited, un-spell checked; it will be just raw, raw,
19 raw but we will put it all together and we will send it out
20 to you. So you will get kind of a summary of what other
21 people said in other sessions and I hope you'll find that
22 useful.

23 Looking back at all my notes and everything for the
24 last year of planning I realize that we have had three
25 major workshops in the last 19 months, starting with the

1 10th anniversary of the spill in March of 1999. And so I
2 want to promise you that the next workshop will not happen
3 for at least 15 months. And with that, it's been great to
4 see you -- that doesn't mean that we won't have smaller
5 ones but we're not going to do a big doodah. But it's been
6 great to have all of your participation. I really
7 appreciate it and hope it was as worthwhile for all of you
8 as it was for us. Thank you very much.

9 (Off record)

10 (END OF PROCEEDINGS)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

I, Joseph P. Kolasinski, Notary Public in and for the state of Alaska and reporter for Computer Matrix do hereby certify:

request THAT the Transcript has been prepared at the of:

DATED at Anchorage, Alaska this 26th day of October
2000.

L. Kolosinski

Joseph P. Kolasinski
Notary Public in and for Alaska
My Commission Expires: 04/17/04

