

ALASKA POWER AUTHORITY
SUSITNA HYDROELECTRIC PROJECT
SETTLEMENT PROCESS

POSITION PAPER DISCUSSION MEETING #7

May 17, 1985

Northern Lights Inn
598 W. Northern Lights Blvd.
Anchorage, Alaska

New Business: Position Papers S-7/8, F-10, F-11, AQ-1/2

A T T E N D E E S

Tom Arminski, APA
Don Beyer, HE
Bob Chlupach, ADF&G
Larry Gilbertson, HE
Alice Gordon, HE
Mike Granata, ADNR
Hank Hosking, FWS
Mark Kuwada, ADF&G
Leroy Latta, ADNR
Jeff Lowenfels, BHB

Dallas Owens, HE
Jack Robinson, HE
Dan Rosenberg, ADF&G
Phil Scordelis, HE
Brad Smith, NMFS
Jim Thrall, HE
Dave Tremont, ADCRA
Sharon Vaissiere, HE
Jim Wilder, HE

ALASKA POWER AUTHORITY

334 WEST 5th AVENUE - ANCHORAGE, ALASKA 99501

Phone: (907) 277-7841
(907) 276-0001

May 27, 1985
Susitna File No. 1.8.1/6.18.8.7/1.17.4.2

Mr. Dan Rosenberg
Alaska Department of Fish & Game
333 Raspberry Road
Anchorage, Alaska 99502

Subject: Susitna Hydroelectric Project
Transcript Transmittal

Dear Mr. Rosenberg:

Please find enclosed for your use one copy of the Seventh Position
Paper Discussion Meeting Transcript.

Sincerely,


James B. Dischinger
Project Manager
Susitna Hydroelectric Project

sdw

Enc: as noted

cc w/o Enc:

T. Arminski, Power Authority
C. Curtis, VFS&C (DC)
J. Lowenfels, BHBP&A
W. Larson, HE

ALASKA DEPT. OF
FISH & GAME

MAY 24 1985

HABITAT
REGIONAL OFFICE

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

ALASKA POWER AUTHORITY
SUSITNA HYDROELECTRIC PROJECT
SETTLEMENT PROCESS

POSITION PAPER DISCUSSION MEETING #7

8:30 a.m.
May 17, 1985
Alyeska Room
Northern Lights Inn
598 West Northern Lights Blvd.
Anchorage, Alaska

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

P R O C E E D I N G S

1
2 MR. ARMINSKI: I guess I want to start off
3 by saying that last week -- or, last meeting we talked about the
4 staging proposal, and as of yet we don't have a definite schedule
5 as to what this all is going to entail with respect to the licen-
6 sing, and we're going to go down to FERC this week and talk to
7 them about it. But as far as the issue papers go, we're going
8 to have to make some revisions on the ones that are affected by
9 staging, and Jack'll tell you a little bit about the process we're
10 going to go through and then we'll get into the papers.

11 MR. ROBINSON: Well, as you know, the Power
12 Authority had adopted the proposal to construct the project in
13 three stages rather than two. And because of the change in the
14 project proposal, essentially -- essentially all of the position
15 papers will have to be updated to take account of the changes.
16 Some position papers will require a rather extensive updating
17 and others will require a moderate amount and still others very
18 little. We intend to, as I said, update all of them and send
19 them out again for all of the settlement participants to review.
20 Then what we would do is to follow the same steps as we've already
21 talked about in the settlement process, have a meeting on these
22 updated papers, including staging, just like this one we're having
23 here, listen to your review comments, incorporate those comments
24 where appropriate and then reissue the papers with your comments
25 ruled in. And then follow the subsequent steps as we've laid

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 out before. Negotiations, a settlement instrument, management
2 endorsement and adoption of the settlement instrument as before.

3 The updated papers, which, as I mentioned, would take
4 account of changes due to the staging proposal, will also include
5 where appropriate your comments to date on the first round of
6 papers. So that when you get the papers, these updated papers,
7 all of the things that -- they will be, as the word "update" indi-
8 cates, up to date, with your comments included and with the
9 staging proposal changes included. We expect to be able to get
10 out the first set of these papers by about the -- to you by about
11 the middle of July. If it's possible to get some of them out
12 a little bit earlier, well, we will. But right now it looks like
13 that's about when the first distribution of the first set will
14 be made. And then we'll carry on from there.

15 MR. ROSENBERG: Does that mean we're holding
16 everything up, then, until the middle of July, or are we getting
17 another batch and -- are we having another meeting in three weeks
18 on --

19 MR. ROBINSON: I did -- I did forget to men-
20 tion that. We are in the process right now of sending out a
21 mailing, which will consist, the last I saw, of two papers, which
22 should reach you, I believe, sometime the middle of next week.
23 And as I recall, the tentative -- well, the meeting date is, I
24 think, in the letter schedule for June 10th. Those in addition
25 -- those two papers, we believe, will -- even though they do not

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 specifically take account of staging, will not have to go through
2 any great deal of revision because of the staging concept. So
3 we thought it best to try to get those out to you so you can look
4 at them. And in addition, at that meeting on June the 10th we
5 would have a much better idea of what the schedule looks like
6 for the settlement process and the updated papers. And we would
7 want to discuss that with you all on June the 10th as well. We'd
8 like to keep them moving and get things out as expeditiously as
9 possible.

10 MR. LATTA: Will you use some kind of a code,
11 like a carat in the margin, to identify the changes?

12 MR. ROBINSON: What we thought we might do
13 -- we considered that. In some of these papers there will be
14 rather wholesale changes. And what we are thinking of doing is
15 when the updated papers are distributed, have you take a look
16 at them, and then comments that you have on those updated papers
17 that we incorporate would be indicated by a carat. Because in
18 many instances it's going to be rather difficult to indicate that
19 a whole section of the paper, in those instances where a wholesale
20 revision is required, to mark those things. So we thought we'd
21 try it this other way and see how that worked out.

22 If a paper happens not to be much affected by staging,
23 we would have some sort of paragraph to that effect pretty close
24 up to the front of the papers so that it would be apparent to
25 all that the paper was only minimally affected. And those would

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 most likely be the papers that we'd be getting out first in this
2 update round.

3 MR. ARMINSKI: Any other comments or ques-
4 tions? Okay. First paper today is S-7 -- papers are S-7 and
5 -8. S-7 is the feasibility and desirability of a specific miti-
6 gation plan, including worker transportation plan, worker housing
7 plan, local, local hire plan. S-8 is the formulation and imple-
8 mentation of a construction and post-construction plan to monitor
9 significant impacts and the efficacy of specific mitigation mea-
10 sures. And our position is that -- that the impacts of the pro-
11 ject on area communities can be mitigated through the measures
12 proposed in this paper. And the effectiveness of the measures
13 would be monitored through the proposed monitoring plan. Let's
14 see, who's going to take this? Sharon?

15 MS. VAISSIERE: This paper addresses the
16 four plans that Tom just mentioned, the worker transportation
17 plan, worker housing plan, local aid plan and local hire plan.
18 The appropriateness of any one of these mitigation options depends
19 on the extent to which any other is implemented. So there's not
20 a whole lot of very specific information to provide about any
21 one of these right now. The worker transportation plan is sup-
22 ported by the Power Authority, and as you know the worker housing
23 plan, there is a plan for both a camp and a village at the site.
24 And the local aid plan depends on the impacts in local communities
25 and therefore there will have to be some monitoring of the

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 situation there to see whether or not those develop. And with
2 the local hire plan, those things will be decided at the time
3 of hiring. And the follow-up on that is that there will simply
4 be a monitoring plan to assess what kinds of impacts arise from
5 these different -- from the project in the communities.

6 MR. ARMINSKI: Any comments or questions?

7 MR. ROSENBERG: Yes, the -- how did this
8 -- earlier we talked about the air bus scenario, and it's absent,
9 it's not even mentioned in here. Is this worker transportation
10 plan we're talking about to the project area, right?

11 MR. ARMINSKI: Right.

12 MR. ROSENBERG: From wherever the workers
13 may or may not live. And that air bus scenario was sort of a
14 big deal not too long ago when we were talking about it, and all
15 of a sudden it's sort of conspicuously absent from even being
16 -- it's not even mentioned.

17 MR. ARMINSKI: I guess at the time that we
18 began to develop it -- I should say that it is -- looks -- it
19 appears to be feasible and cost effective to do this, but there
20 hasn't been really any official endorsement of it. And I think
21 that's really the reason it's not stressed in here because it's
22 not been officially adopted.

23 MR. ROSENBERG: Official endorsement by?

24 MR. ARMINSKI: The Power Authority.

25 MR. ROSENBERG: By whom?

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. ARMINSKI: By the Board.

2 MR. LOWENFELS: The Board.

3 MR. ROSENBERG: Oh, okay. Well, we have
4 already commented on that. I think you have our -- You have
5 input into that.

6 MR. HOSKINS: Do you anticipate that this
7 village for staff families will resemble a military base complex?
8 Would all the restrictions apply to these families that apply
9 to the workers, like no pets, no firearms, the whole blooming
10 thing? Is that how that would be set up?

11 MR. ARMINSKI: I don't think so. You know,
12 I guess -- you're talking about the permanent village after con-
13 struction, I would think that the -- you couldn't impose those
14 kind of restrictions on those people.

15 MR. HOSKINS: So you have a group that could
16 contribute to the impacts that the workers would not be contribu-
17 ting to during construction?

18 MR. ARMINSKI: Right. Of course, the numbers
19 of people residing in the permanent village would be significantly
20 fewer than the work force.

21 MR. THRALL: I think, Hank, the estimate
22 -- last estimate I heard was that to operate the project you'd
23 need about 50 people.

24 MR. HOSKINS: Yes, I think some -- that's
25 what I was thinking, 45, something like that. Somewhere.

1 MR. ARMINSKI: Would you see that there would
2 need to be some sort of restrictions on those people other than
3 just, you know, hunting regulations and fishing regulations that
4 were in place, and land use regulations for public lands that
5 surround the project area?

6 MR. HOSKINS: Yes, thinking restrictions,
7 perhaps use of ATV's, this type of thing, if there would be some
8 sort of a monitoring or an enforcement of such provisions like
9 that.

10 MR. ARMINSKI: In addition to what would
11 be allowed by public land use laws or public use policy?

12 MR. HOSKINS: Yes, thinking that very likely
13 there will be restrictions imposed, for example, by the Native
14 groups, or the lack -- or, restricting ATV use. When the village
15 and so forth is there during operations, will there be any Power
16 Authority monitoring or anything like this that would be in effect
17 during construction, say, to look after such details, would such
18 details be looked after during the operations phase to make sure
19 that all of these various restrictions are still in effect?

20 MR. ARMINSKI: I guess what I'm questioning
21 is the need for these kind of restrictions.

22 MR. HOSKINS: Well, I guess if the restric-
23 tions are still there on the books, I wouldn't expect, for example
24 for the Native group to say, "all right, construction is over,
25 so we are going to dissolve restrictions on the use of ATV'S".

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. ARMINSKI: Right.

2 MR. HOSKINS: During actual construction,
3 I would expect a part of the monitoring program for the project
4 for APA to -- well, it'd be their responsibility to pretty much
5 enforce these. My question, I guess, would it still -- would
6 APA still have any responsibility or would it just revert back
7 to the Native landowners to say, "Okay, we've got the restrictions
8 we enforce them"? I don't know how that would work.

9 MR. ARMINSKI: Yes, I think, you know, as
10 a -- Jeff, you can probably tell me, but as some condition of
11 employment, you -- I guess you wouldn't tell your employees that
12 they -- that they were -- could disregard, you know, land use
13 regulations and whatever constraints Natives put on their land.

14 MR. LOWENFELS: I think you'd do it the same
15 way Alyeska does it, not that that's a perfect model, but Alyeska
16 does contractually require -- let's not use Alyeska, it's a very
17 bad example. The oil companies up on the North Slope require
18 their employees to comply with certain regulations, and whether
19 -- whether it be land use regulations or no drugs allowed or no
20 alcohol allowed, there is a -- there is a mechanism to deal with
21 violations. Now, whether they have a constant monitoring program
22 or whether they come up and make inspections once a year, I'm
23 not sure that that's the level of detail that we're able to work
24 out here. What you're -- what you're saying is that you'd like
25 some restrictions -- you'd like to make sure that restrictions

1 that are applicable are enforced. And I don't know whether the
2 APA could do that.

3 MR. HOSKINS: Well, I guess I'm not even
4 -- I'm not trying to make an advocacy position right here. I'm
5 inquir -- I don't know what's going to happen, for example, if
6 there are a bunch of restrictions that apply to workers, if you
7 have a family group like this -- if you've got a restriction
8 on the worker, okay, that says "Thou shalt not have a firearm,
9 you can't hunt". If you've got a 12-year-old boy that wants to
10 dink around something, do these sort of restrictions -- do they
11 apply to him during operations? And this is why I asked about
12 like is it going to be a military base complex where, boom, this
13 is it, you can't have this, you can't have that, regardless of
14 the situation?

15 MR. THRALL: I would think, just looking
16 at projects that I visited, the permanent village is really a
17 -- you know, it's people's homes --

18 MR. HOSKINS: -- Yes, exactly --

19 MR. THRALL: -- and it is permanent. And
20 this is just, you know, supposition on my part, but you can --
21 the Power Authority probably could put some restrictions on those
22 people about -- in the form of, you know, there are regulations
23 here for land use and you as an employee of the Power Authority
24 are certainly expected to adhere to those regulations. They could
25 probably put some special conditions of employment about firearms.

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 The degree to which that would be practical and then being able
2 to go out and hire people -- if you make it into a military-style
3 post, you're not going to be able to hire the operators. As I
4 understand, the people who make a living operating projects like
5 this are a fairly small group, they are pretty employable. It's
6 not hard for them to find work. And in order to get them to come
7 to a project, you have to give them some inducements. I mean,
8 these facilities usually are pretty nice, they try to have ameni-
9 ties, especially in a -- you know, where you're removed from cities
10 and everything. So I would say that it probably will be not like
11 a military post, but there will be some restrictions if possible.
12 The other part is that certainly the monitoring program would
13 look after, you know, ATV use, just incidentally, even. If you're
14 out there monitoring the reservoir area for big game impacts or
15 whatever, you're going to pick up that information. So I don't
16 know if that answers your questions, but -- and again, this is
17 my supposition based on what I've seen at some other projects.
18 both in the Lower 48 and overseas. And they tend to be pretty
19 similar.

20 MR. HOSKINS: Yes, I think that my point
21 was I'd like to see the situation addressed in the paper here.

22 MR. ROSENBERG: I guess it's a little unclear
23 to me just what we're supposed to be discussing regarding this
24 issue. I sort of originally -- when I first looked at it, I just
25 thought this was an issue that's designed to alleviate any kind

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 of impacts to local communities. And then, of course, by doing
2 that we're moving the workers over to another area within the
3 project. But all those effects I somehow thought we were discus-
4 sing in different issue papers. Haven't we?

5 MR. ARMINSKI: We are.

6 MR. ROSENBERG: Or are we not going to?

7 MR. ARMINSKI: We are.

8 MR. ROSENBERG: Is that -- I'm not trying
9 to undercut what you're talking about, but I think it's real im-
10 portant, but I'm just wondering where that fits in --

11 MR. ARMINSKI: -- Yes, I got off on kind
12 of a sideline here.

13 MR. LOWENFELS: You're right.

14 MR. ARMINSKI: You're right. Any other dis-
15 cussions?

16 Okay, let's go on to F-10. F-10 is the significance of
17 disturbance effects of human instream activities on fish. We've
18 proposed a number of mitigation measures in this paper, and it's
19 our position that the implementation of these measures will pre-
20 vent or minimize impacts to fish from instream activities. Phil?

21 MR. SCORDELIS: This papre was prepared
22 utilizing information in license application and several reprints
23 from the literature on construction activities in and around
24 streams. It's somewhat of a catchall in that the issue isn't
25 really discussed in length in the license application. And I

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 was at somewhat of a loss to think of activities during the con-
2 struction of the project that would involve instream activities.
3 And the five that I discussed in this paper may not be all the
4 instream activities that could occur out there. And therefore
5 request, if you can think of anything else that I've missed, please
6 bring it up now so that I can address it.

7 MR. GRANATA: I have a few. One would be
8 the downstream erosion or sedimentation that could result from
9 this work, and addressing the hydrological regime after this based
10 on that type of erosion downstream.

11 MR. SCORDELIS: As that direct -- as that
12 relates to fish? This paper is directed at the effects on fish.

13 MR. GRANATA: I would imagine it would --
14 you could relate that to fish, yes.

15 MR. THRALL: Is this downstream of the pro-
16 ject now? Are you talking about degradation, channel degradation
17 below the dam?

18 MR. GRANATA: Yes, and slough degradation.
19 I know it was addressed in another --

20 MR. SCORDELIS: Yes, it was F-4 that we talked
21 about last week -- or last meeting.

22 MR. GRANATA: They sort of overlap.

23 MR. ARMINSKI: I guess when we -- last year
24 when we came up with this issue we kind of envisioned this as
25 being an issue where the impact was directly related to human

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 activity, you know, equipment or, you know, people mucking around
2 in streams, as opposed --

3 MR. GRANATA: -- Right at that point?

4 MR. ARMINSKI: Yes. As opposed to kind of
5 like the morphological changes in the stream that result from,
6 you know, a changed flow regime. So I think that's what we're
7 kind of what we're trying to hit on here. We recognize that
8 there's a relationship between the two, but there's some specific
9 measures that you can take with respect to instream activities
10 that would decrease the impacts, and that's what we've tried to
11 address in this paper.

12 MR. LATTA: Why don't we just give you a
13 copy of the comments, and you can apply them as appropriate?

14 MR. ARMINSKI: Okay. Dan?

15 MR. ROSENBERG: I thought you might want
16 to add oil spills to potential impacts on the top of ii, Page
17 ii, "The potential impacts that could occur during these activi-
18 ties include:" and you've got a list, and I was thinking of oil
19 spills, or oil into the streams, some -- you know, whether it's
20 spills or however it gets in there. And also damage to the stream
21 bank from use of equipment and altered -- repairing of habitat.

22 MR. SCORDELIS: I did discuss petroleum
23 spills, I believe, in some of the ones -- the ones on crossing
24 the stream or instream use by heavy equipment, but I didn't list
25 it up front, so I'll go ahead and put another little circle and

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 list spillage of petroleum. And also the breakdown of stream
2 banks.

3 MR. HOSKINS: Just the physical loss, not
4 habitat, though?

5 MR. SCORDELIS: The stream banks? Is that
6 what you're referring to?

7 MR. HOSKINS: Yes. And if you --

8 MR. SCORDELIS: Loss of undercut banks.

9 MR. HOSKINS: Putting in culverts, this sort
10 of thing you do, it may have a physical loss of habitat, of a
11 spawning bed or something along these lines.

12 MR. ROSENBERG: Another point to discuss
13 is under the mitigation measures endorsed by the Power Authority.
14 That first paragraph on Page ii says on line three, "Where this
15 goal is not compatible with project objectives, other mitigation
16 goals will be adopted". And we just need to identify a mechanism
17 for having agency input into this whole process, which is not
18 covered here.

19 MR. SCORDELIS: Is that discussed in the
20 mitigation issue paper, the mechanism?

21 MR. ROSENBERG: Well, we were -- we talked
22 about implementing one and I don't know where we -- where it's
23 been --

24 MR. BEYER: Yes, it's partially mentioned
25 in F-11, and F-12 sets out the mechanism for monitoring and how

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 mitigation will occur. Maybe we can get into that in the next
2 paper.

3 MR. SCORDELIS: Maybe I can just reference --

4 MR. ROSENBERG: -- Yes --

5 MR. SCORDELIS: -- the mitigation plan.

6 MR. ROSENBERG: -- just reference it. And

7 then, once more, the second mitigation measure, "Acquisition of
8 all required state and federal permits and compliance with their
9 terms and conditions". As I mentioned before, it's not -- not
10 really mitigation, but -- I don't think complying with the law
11 can be --

12 MR. ARMINSKI: Yes, but the special stipula-
13 tions are mitigation. Those are the mitigation measures, really.

14 MR. ROSENBERG: Yes, there will be mitigation
15 but -- okay, put into those permits.

16 MR. SCORDELIS: I can just -- I can change
17 the wording on Number II there to say that "use or adherence to
18 the" --

19 MR. ROSENBERG: It's something we discussed
20 before, I didn't remember what kind of conclusion we came to on
21 it.

22 MR. SCORDELIS: Well, just got me headed
23 in the right direction on that one, so I'll take care of that.

24 MR. SMITH: I had some questions about the
25 coffer dam construction at Devil Canyon. Should there be some

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 timing considerations made for that in that we may have increased
2 numbers of salmon moving into the upper reach? Some of the -- past
3 the current blockage at Devil Canyon. Should there be some consi-
4 deration made for the timing of the year or the method of diver-
5 sion works and coffer dam construction at Devil Canyon?

6 MR. SCORDELIS: I'm talked to Mike Bruen
7 (ph) about it at Geotech, and the impression I get from him is
8 that they need to do it in the winter when the flows are lowest.

9 MR. SMITH: Okay, that would probably be
10 the worst time, then, for --

11 MR. SCORDELIS: -- As far as --

12 MR. SMITH: -- passing any --

13 MR. SCORDELIS: What kind of migrations are
14 there --

15 MR. ARMINSKI: -- You mean downstream
16 migrants? --

17 MR. SCORDELIS: -- going to be in the winter?

18 MR. SMITH: -- Next spring. No, but I'm
19 saying --

20 MR. SCORDELIS: Oh, if there are fish up-
21 stream?

22 MR. SMITH: Right.

23 MR. SCORDELIS: For the downstream escapement.

24 MR. SMITH: Right, providing for -- right
25 now, of course, there's 50, 75, I don't know how many Chinooks

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 moving through there, but with the project the possibility exists
2 that you could have significant numbers of fish moving into that
3 area.

4 MR. THRALL: I think you'll find that the
5 engineers would be reluctant to try to divert the river and coffer
6 dam it at high flows.

7 MR. ARMINSKI: Is there --

8 MR. THRALL: Diversion and coffer damming
9 is a pretty critical -- I mean, you're really changing --
10 switching the river course, and there's a lot of things that can
11 go wrong. And they really would like to do it at the lowest flows

12 MR. ARMINSKI: Would there be like an alter-
13 native -- some sort of compensatory mitigation for that kind of
14 activity? You know, if you can't time the activity to allow the
15 downstream migration, is there something else that we could do?

16 MR. SMITH: I don't know, you could look
17 at the outlet works that are going to be -- I don't have any idea
18 what the engineering is around that or whether there could be
19 some -- some bypass. One thing I think the monitoring program
20 has to include that stretch, and we -- we've talked with Larry
21 about including that, rather than just the middle river. So you
22 could have a feedback mechanism there. I don't know how reactive
23 you could be if we had a lot of fish moving into that area, then
24 maybe if it looked like it was going to be a sizable problem you
25 could somehow -- I don't even know what possibilities would exist.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 MR. THRALL: I think Larry has -- Larry and
2 Don have come up with something here that might be possible.
3 Do you want to --

4 MR. SMITH: You guys work fast.

5 MR. ARMINSKI: They didn't even talk to each
6 other.

7 MR. GILBERTSON: Not really, Jim. If there
8 were large numbers of fish moving into that area, they would cer-
9 tainly be moving into the tributaries, because I doubt -- I doubt
10 if there's a whole lot of spawning substrate in the mainstem in
11 that area. It's pretty large stuff, because of the velocities.
12 But if there were a number of fish moving into those tributaries
13 that you wanted to worry about, you could probably collect the
14 fish at the tributary mouths in the spring and take them around
15 the diversion. I don't think you could net the diversion tunnel.
16 The velocities would be extreme.

17 MR. BEYER: The velocities are so high that
18 it -- you'd have some real netting problems.

19 MR. SMITH: I wonder if -- I know that you
20 could -- something like an inclined screen, I don't know whether
21 you could practically install one of those.

22 MR. BEYER: You could attempt it, but --
23 and just looking at some -- or thinking about some previous sort
24 of netting operations around reservoirs and stuff, some of them
25 have been real failures. They try real hard and they just don't

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8691

1 pick up the fish.

2 MR. SMITH: Well, maybe it's just something
3 you could kind of chew on for a while and those ideas are the
4 kind of things that might go into the next iteration of the paper,
5 and trapping sounds like it might be the best way to go if there
6 is a problem.

7 MR. THRALL: Since it's -- it would be essen-
8 tially a one-time thing, and to install an inclined screen system
9 would be pretty expensive.

10 MR. SMITH: Yes, it may be.

11 MR. THRALL: Maybe just netting and trapping
12 somehow and transport could be done in some cost effective manner.

13 MR. GILBERTSON: You know, actually it might
14 be easier to collect the spawners the summer before and take them
15 somewhere else if they're -- if they're trying to spawn in those
16 tributaries.

17 MR. ROSENBERG: I just have a question on
18 Page 9 under borrow and spoil activities. Maybe somebody could
19 explain to me a little bit more about how this is going to work.
20 But it does say that "Feasibility-level studies have not revealed
21 a need for the removal of gravel from streams for the construction
22 of either dam", then further down it does say that "Instream
23 activities associated with borrow and spoil activities include:
24 Removal of borrow material from active watercourses". And just
25 looking at the map it looks to me like some of the borrow sites

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 are in the -- are in the stream itself.

2 MR. SCORDELIS: This is somewhat older figure,
3 came out of the license application, and more recent analysis
4 by Geotech personnel indicates that they won't need to go into
5 the streams to build the dams. But I -- when I asked them about
6 roads, they said it may be necessary to get gravel, if we are
7 at a loss for finding gravel somewhere for the road construction,
8 that they might need to get some gravel out of -- off a flood
9 plain or perhaps out of a stream channel. I personally am some-
10 what at a loss as to what actually is going to go on up there
11 when designs are being made and finalized. But this -- this is
12 the information I've come up with so far.

13 MR. ARMINSKI: You know, there's going to
14 be an extensive geotechnical program that's going to identify
15 these material sites. Most of these things were done through,
16 you know, aerial surveys, and, you know, the extent of the material
17 sites is probably two to three times larger than is actually
18 required, just to demonstrate that the project's feasible, that
19 there's enough material. So, you know, we're -- once we get the
20 extensive program out in the field we'll be able to delineate
21 the source of material better.

22 MR. ROSENBERG: Okay, so --

23 MR. ARMINSKI: We can't -- we can't do any
24 of that until we're authorized to begin the design work. And
25 that's not going to be for some time yet.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. ROSENBERG: Okay, I understand that,
2 but perhaps this paper could mention that, that you just don't
3 know a lot of this at this time and that this is what -- and that
4 it's going to have to be essentially -- some of this is going
5 to have to be put off 'til a later date, because you just don't
6 know.

7 MR. SCORDELIS: I know that borrow site F
8 does encompass both sides of Tsusena Creek, so it's possible that
9 -- you know, that would be one place where they would have a need
10 to get into the stream channel or into the flood plain immediately
11 adjacent to it. But that is a backup site. There's no plan to
12 use that unless absolutely necessary.

13 MR. ROSENBERG: Isn't borrow site E, which
14 is one of the primary sites, is that --

15 MR. SCORDELIS: That is on the -- let's see,
16 this map --

17 MR. ROSENBERG: You can't tell from this
18 map exactly.

19 MR. SCORDELIS: It's on the north -- it's
20 on the north side, the north bank of the river, from the north
21 bank of the river away from the channel for quite a ways, and
22 quite a ways downstream. Mike Bruen says that he doesn't think
23 they'll need to get into the stream channel there at all. It
24 should be all up -- floodplain and somewhat upland.

25 MR. ROSENBERG: But theoretically once they

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 do these geotechnical studies then they find out, "well, it looks
2 like we're going to have to go into the stream channel". So you
3 can't say now that we're not going to go into the stream channel.

4 MR. THRALL: Until they do more drilling
5 to give you more certainty, and then -- even then you get into
6 and start removing stuff, you can always -- you know, whenever
7 you get into any sort of geological or subsurface you always can
8 run into surprises. My understanding is that people are very
9 confident that there's more than enough material there to take
10 care of the needs. But again, it's -- being 90, 95% confident
11 is not enough, I guess, to put it down on paper that we absolutely
12 won't have to go to any of these back-up sites. And you just
13 simply can't know really until you're actually in there removing
14 it, because you run into some materials mixed in that would make
15 it unsuitable for borrow for some reason. That's considered highly
16 unlikely, I guess.

17 MR. ARMINSKI: One of the other things, too,
18 is in the staging, the additional excavation for the spillway
19 channel will provide a lot of material for the dam as well, so,
20 you know, there's another area that would lessen the utilization
21 of these other sites.

22 MR. ROSENBERG: Okay. Yeah, I just wanted
23 to -- some of this what we've just been talking about, just to
24 be brought out so that everybody's just aware of the situation.

25 MR. THRALL: So you'd like to see a reflection

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 of the fact that that is subject to change and uncertainties.

2 MR. ROSENBERG: It is subject to change and
3 that if it does change, you know, then of course we'll just need
4 to --

5 MR. SCORDELIS: Alice just passed me -- passed
6 us a different figure.

7 MS. GORDON: It's from AQ-12, which will
8 be the last --

9 MR. SCORDELIS: -- Air quality --

10 MS. GORDON: -- paper reviewed today.

11 MR. ROSENBERG: Oh, okay.

12 MR. SCORDELIS: And it shows a little better
13 layout of the borrow sites for Watana. And maybe what I'll do
14 is incorporate this figure with this kind of outline in the next
15 version.

16 MR. ROSENBERG: Yes, that would be good,
17 putting a better map in the revision

18 MR. ARMINSKI: Any other comments on F-10?

19 MR. HOSKINS: Just in case you might've
20 thought we changed our mind, we haven't. The Fish & Wildlife
21 Service remains opposed to the project access road from Denali
22 Highway to Watana. On Page 3, first paragraph, the last line,
23 the statement that "Salmon were collected in only two of the 26
24 streams sampled" implies to me that the other fish species are
25 not considered to be important. I don't think you mean that,

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 or are not implying that, but that's the way it came across to
2 me. So if that could just be reworded or deleted or something
3 like this. I don't understand the significance of the statement
4 the way it's presented right there.

5 MR. ROSENBERG: Well, it's necessary for
6 your permits, to identify -- identify that.

7 MR. ARMINSKI: Well, we --

8 MR. ROSENBERG: Is that what it's there for?

9 MR. ARMINSKI: You know, I think there's
10 always been this feeling -- I'm not going to -- I'm not going
11 to say that we discount the other species, but the salmon are
12 the most significant species, seems to be the ones that everyone
13 dwells on, and then we've got the anadromous fish act, too, which,
14 you know, relates specifically to salmon. But I guess we're not
15 trying to assign any specific importance to salmon, because we
16 recognize that the Fish & Wildlife Service is concerned about
17 all the species, and that they all be taken care of --

18 MR. HOSKINS: Thank you.

19 MR. THRALL: Could we take the "only" out
20 of that sentence, would that --

21 MR. ROSENBERG: We're concerned about all
22 the species too.

23 MR. HOSKINS: My comment over here was
24 deleted.

25 MR. SCORDELIS: We can do that.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. THRALL: -- Well, I -- but noting that
2 salmon were collected in two of the streams. Is that a --

3 MR. HOSKINS: Yes, I just didn't like the
4 salmon identified as -- as Tom's saying, as being more important
5 than anything else. I think there is a tendency to lump them
6 that way.

7 MR. LOWENFELS: We all know that they take
8 care of your chloresteral problem better than any other salmon
9 in the world, according to Don Young, but other than that . . .

10 MR. HOSKINS: On Page 14, under stream cros-
11 sing, lines 11 and 12 state that the "Scheduling of stream cros-
12 sings during periods of low fish use can also prevent these
13 impacts". Crossings at this time may not kill fish directly but
14 the habitat may be rendered unsuitable by compaction to later
15 fish use. We recommend that no construction traffic be permitted
16 routinely through fish bearing waters.

17 MR. ARMINSKI: Is that identified spawning
18 areas or any fish bearing waters?

19 MR. HOSKINS: My recommendation is that you
20 don't allow any construction traffic routinely through any fish
21 bearing waters.

22 MR. SCORDELIS: One crossing perhaps to lay
23 in a bridge?

24 MR. HOSKINS: Sure.

25 MR. SCORDELIS: Block string (ph) a bridge

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 or something and then use the bridge?

2 MR. HOSKINS: Right, yes. I don't like low
3 water crossings in fish streams, this type of thing. And then
4 further down, lines 18 and 19 state "These introductions would
5 be diluted and carried off by the first highwater flow". This
6 refers to silt loads disturbed by heavy equipment. This strikes
7 me as an out of sight, out of mind cure by passing the problem
8 to someone else downstream. We view the silt distribution as
9 an avoidable adverse impact that should not be allowed to occur.
10 If when heavy equipment has to cross fish bearing waters, culverts
11 or bridges should be installed, just as we're talking.

12 MR. SCORDELIS: I think what I was referring
13 to there was the initial crossing you're bound to get a little
14 pulse of sediment as the item -- the piece of machinery moves
15 across the stream.

16 MR. HOSKINS: I think I realize what you
17 intend but I don't think it came across quite that way. To me,
18 anyway.

19 MR. SCORDELIS: I think I can reword that
20 one.

21 MR. HOSKINS: On Page 15, instream use of
22 equipment. The BMP manual on sedimentation and erosion control
23 does a good job of discussing procedures under this heading.
24 This section could actually be replaced by the BMP references
25 as included in mitigation measures. I think you went to a great

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 deal of work right there, Phil, in putting this section in there
2 when the BMP manual already does it pretty much for you.

3 MR. SCORDELIS: What section are you on?

4 MR. HOSKINS: Page 15, instream use of equip-
5 ment.

6 MR. SCORDELIS: Just -- Under this section
7 just reference the BMPM?

8 MR. HOSKINS: Yes, that would -- that would've
9 done a good job.

10 MR. SCORDELIS: I'll have to read through
11 it again and see what you're getting to.

12 MR. HOSKINS: Okay, on Page 17, borrow mater-
13 ial deposition. The discussion on coffer damming should be
14 expanded. Will the coffer dams entail the use of sheet piling?
15 Why can't shot rock with a low silt content be used in coffer
16 dam construction? So I'm ask -- looking for an answer right now,
17 I'm asking you to consider these things.

18 MR. SCORDELIS: Could you have these typed
19 up and --

20 MR. HOSKINS: They're all -- they're all
21 read right into the --

22 MR. SCORDELIS: -- That's right, okay --

23 MR. HOSKINS: -- into the minutes here.

24 On Page 22, please consider adding another mitigation measure
25 covering the investigation of all waters to be impacted and the

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 relative effectiveness of any fish passage structures installed.

2 Thank you.

3 MR. GILBERTSON: This -- the post installa-
4 tion?

5 MR. ROBINSON: Hank, are you referring there
6 to, for example, culvert and bridge installations, things like
7 that, where you say fish passage structures?

8 MR. HOSKINS: Um-hm. This gets into the
9 monitoring plan that I think we've touched on briefly, and I think
10 we all expect it to be covered in their, just what sort of a
11 scheduling would be appropriate to make sure that we don't have
12 hydraulic jumps or some other fish barrier right there, how often
13 are they going to be checked, examined for debris, or anything
14 else, and maintained accordingly.

15 MR. ARMINSKI: I've got a question for Dan
16 or Mark. Does the Fish & Game Department permit low water cross-
17 sings?

18 MR. KUWADA: I think it's mainly restricted
19 to a period prior to -- or, after egg emergence. Sometime between
20 May 15th and June 15th, I think, is when most of the crossing
21 takes place.

22 MR. ROSENBERG: We'll check for you.

23 MR. KUWADA: Yes.

24 MR. ARMINSKI: Pardon me?

25 MR. ROSENBERG: We'll check for you.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. ARMINSKI: Any other comments on F-10?

2 MR. KUWADA: I had one other question here
3 on borrow material deposition. It says that there are a number
4 of variables involved and it couldn't be determined if turbidity
5 increases would be sufficient to cause fish overwintering down-
6 stream. I was just wondering if there should be some type of
7 monitoring provision for sedimentation and turbidity effects on
8 overwintering fish.

9 MR. ROBINSON: What page is that on?

10 MR. KUWADA: Page 17.

11 MR. ARMINSKI: Or maybe better is a discus-
12 sion of fish overwintering, I think, in -- let's see, the paper
13 I just read, what was that? F-3 had a discussion of overwintering
14 and I think the indication from that was most of the overwintering
15 is in, you know, the side sloughs and side channels. I think
16 they probably wouldn't be directly affected by any silts intro-
17 duced into the mainstem. Is that --

18 MR. GILBERTSON: -- Yes, that's true --

19 MR. ARMINSKI: -- a fair statement?

20 MR. GILBERTSON: Yes, that's true for the
21 juvenile salmon. Resident species, rainbow, grayling, do over-
22 winter in the mainstem, some of them. So they would be in that
23 area.

24 MR. THRALL: I think there probably will
25 be a stipulation on permits, would require you to look at the

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 turbidity and silts that you're getting from your coffer dam place-
2 ment.

3 MR. KUWADA: But there's no specific monitor-
4 ing provision that you anticipate?

5 MR. ARMINSKI: Well, if you had to meet the
6 water quality standards, I'm sure that there'd have to be a water
7 quality monitoring program to show that you're meeting those stan-
8 dards.

9 MR. KUWADA: Okay. Well, I just didn't see
10 it in the monitoring there for mitigation.

11 MR. ARMINSKI: Bob, were you going to say
12 something?

13 MR. CLUPACH: What is the flow of Tsusena
14 Creek and Deadman Creeks respectively?

15 MR. SCORDELIS: All that comes to mind right
16 now is a low flow -- what is it, a one in 20-year low flow was
17 measured at 27 cfs, and I can't remember if that is summer or
18 winter low flow. But it's -- I'm guessing 100 cfs. They're fairly
19 comparable.

20 MR. CLUPACH: Are they?

21 MR. SCORDELIS: And I'm guessing 100 cfs.
22 I don't have that information.

23 MR. CLUPACH: What is anticipated for the
24 water use for 4700 people out at Tsusena Creek?

25 MR. SCORDELIS: I think it was one or one

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 and a half cfs. That's discussed in F-8, I believe, borrow --
2 or, camp construction, effects of camp construction.

3 MR. CLUPACH: And the waste water that's
4 discharged into Deadman Creek, is that gray or brown water?

5 MR. SCORDELIS: I'm not sure what those terms
6 mean. It will be given secondary treatment prior to discharge.

7 MR. CLUPACH: Okay, gray water is typically
8 like soaps and dishwashing detergents, things like that. Brown
9 water, of course, is number two.

10 MR. SCORDELIS: It's going to be treated
11 camp effluent. That's the terminology I've found in the license
12 application. I imagine it's all of the above.

13 MR. ARMINSKI: Any other comments? Okay,
14 let's go on to F-11. This is the feasibility and desirability
15 of specific aquatic mitigation options, including structural modi-
16 fications, flow allocation, physical habitat modification, hatch-
17 eries and management options.

18 MR. ROSENBERG: Should I start on this?
19 Oh, is somebody going to go through it first?

20 MR. LOWENFELS: Hank's gone, so before you
21 go through it Hank's got to be back.

22 MR. ROSENBERG: Well, can we go -- Did you
23 have a question?

24 MR. KUWADA: Well, since we aren't into F-11
25 yet, I was wondering if we could go back to one more point on

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 F-10, and talk about on Page 16, a control gate. I was wondering
2 if that could be explained a little bit. I'm not real familiar
3 with what that's supposed -- how it's going to be designed or
4 really what the thing is going to look like.

5 MR. ARMINSKI: What page is that, Mark?

6 MR. ROSENBERG: Page 16, under diversions.

7 About line 1, 2, 3, 4, 5, 6 --

8 MR. KUWADA: -- Yeah, says a control gate --

9 MR. ROSENBERG: -- Line 6.

10 MR. KUWADA: -- will create a head pond
11 approximately 50 feet deep. I was wondering if somebody could
12 explain that a little further, I have no idea of what this thing
13 is going to look like.

14 MR. ARMINSKI: I don't know what it's going
15 to look like, but it's -- it's going to be a, you know, a steel
16 gate that they'll be able to back water up with. I don't know
17 if it's going to be a -- you know, like a sliding gate or what,
18 but --

19 MR. KUWADA: It's going to be over the diver-
20 sion tunnel entrance?

21 MR. ARMINSKI: Yes, it'll be at the mouth.

22 MR. KUWADA: And how is that going to create
23 a pond, then, or a pool in front of it?

24 MR. ARMINSKI: Well, just by -- just by
25 raising the water level behind it.

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. SCORDELIS: It'll restrict flow entering
2 into the diversion tunnel --

3 MR. KUWADA: -- To some extent, and that'll
4 back up --

5 MR. SCORDELIS: -- Inflow won't equal outflow
6 through the tunnel and so it will back up, create a diversion
7 pond there, a detention pond, whatever you want to call it.

8 MR. ARMINSKI: It's basically a valve. I
9 mean, you can think of it as a valve on a pipe.

10 MR. SCORDELIS: The idea is to back the water
11 up so that it covers the mouth of the diversion tunnel and ice
12 -- therefore ice won't be forming in the tunnel. It's in opera-
13 tion during the winter.

14 MR. KUWADA: And the thinking is that fish
15 are going to concentrate in this pond?

16 MR. SCORDELIS: Well, if it's 50 feet deep,
17 it's -- they're liable to.

18 MR. KUWADA: Right at the mouth of the diver-
19 sion tunnel?

20 MR. SCORDELIS: Well, somewhere in the pond,
21 and then if they get -- if they are swimming or are carried towards
22 the mouth of the diversion tunnel, then the high velocity could
23 entrain them and they just move on downstream, get sucked on down-
24 stream. That was my imagination at work. If somebody else would
25 like the facts, we did read that in the license application as

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 one of the possible impacts.

2 MR. ARMINSKI: I'm not sure, we may have
3 some drawings, conceptual drawings of that gate in Exhibit F.
4 I haven't -- it's been such a long time since I've gone through
5 that I don't know if it's depicted in there or not. But --

6 MR. SCORDELIS: I don't know. The diversion
7 tunnel is outlined in detail on that. I know that the dam -- dam
8 sites were, but I can't recall the diversion tunnel.

9 MR. KUWADA: Yes, I'd just never seen it
10 before, so I was kind of wondering what it looked like. That's
11 it.

12 MR. ARMINSKI: Okay, F-11, I won't repeat
13 the issue, but I'll just go on to say that we've taken the oppor-
14 tunity to develop some mitigation measures and we plan to refine
15 these mitigation measures. We believe that the ones that are
16 described in this paper are feasible and will maintain the net
17 habitat value of the Susitna River.

18 MR. BEYER: Let me just briefly explain how
19 the paper is derived. Aquatic mitigation planning has been going
20 on since almost the inception of the project. And some of the
21 initial mitigation planning showed up in the license application,
22 and then last December we had a workshop on aquatic mitigation
23 planning. Went into quite a bit of detail about some of the dif-
24 ferent items that had been proposed. And from that workshop there
25 were some -- there'll be an additional update to that mitigation

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 plan which will encompass a little bit more than the December
2 plan, and the additional things it'll encompass are primarily
3 in the areas of construction and some additional information about
4 impoundment mitigation planning.

5 From the sort of evolving mitigation plan, this paper
6 was derived, and the paper tries to encapsulate some of the key
7 points of where mitigation planning stands today. Within F-11
8 the mitigation measures are segregated into two sort of broad
9 category. One category is the one in which modifications can
10 be made to the design or operation of the project, and in that
11 way you can tend to mitigate some of the potential impacts that
12 might occur. Items under this category include the fixed cone
13 valves, the multilevel intake and flow regulation itself.

14 In the second category there's measures that really cannot
15 be mitigated with the project design. In this category there's
16 -- although flow is included in category one as something we can
17 regulate, we don't feel that flow will handle everything as far
18 as downstream effects. And one of the areas we don't think it'll
19 be able to mitigate for effects is in the area of chum salmon
20 spawning. And so therefore in the second category we're looking
21 at structural modifications to the sloughs or potentially arti-
22 ficial propagation, depending on which option is finally adopted,
23 as an additional way to mitigate for chum spawning lost.

24 In the second area also there's impoundment mitigations.
25 Under that there's sort of three levels of mitigation that are

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 being examined and proposed and one is looking at the artificial
2 propagation of grayling, provision of public access to lower river
3 areas, and we're also going to be looking this summer into stream
4 enhancement measures in the lower river looking for potential
5 additional habitats for resident fish.

6 Under the -- another subsection of category two there's
7 the construction mitigation, and basically this is an incorpora-
8 tion of practice and measures to the Best Management Practices
9 Manual in the construction documents. There's much more detail
10 about how this is going to work in the monitoring plan. We had
11 some discussions recently about what this all means, and I think
12 we're going to add some more detail into the monitoring plan about
13 the implementation of the BMP's and how all this is going to work.

14 MR. ARMINSKI: Comments? Dan?

15 MR. ROSENBERG: Okay, first off, on Page
16 1, the discussion under "The APA's goal", I don't think that's
17 really accurately stated. And just for the sake of completeness
18 and to avoid confusion, the -- we need to stick in there something
19 about maintaining habitat values and habitat parameters. We've
20 been through this before, the goal -- the mitigation goal is --
21 Well, as the Power Authority stated it to us in your reply to
22 our comments on the fish mitigation plan, that the mitigation
23 objective of ADF&G of maintaining values of habitat parameters
24 that support existing fish populations of the Susitna River and
25 its tributaries is in accord with that of the Power Authority.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 And so I'd just like to see -- F-10 has it stated fairly well,
2 and so this is just a little bit inconsistent with some of the
3 other statements on the goals.

4 While we're on that same page, the next to the last line,
5 "Where it is not feasible to achieve this goal", and I guess I'm
6 still unclear as to how this whole feasibility thing is going
7 to be decided, either, you know, economic feasibility, physical
8 -- the actual physical manipulation, the feasibility of those,
9 when and where and how will all that -- this feasibility be -- you
10 know, come to light? Is it just going to be the Power Authority
11 saying, "Well, it's not feasible because it's going to cost us
12 too much, or it's not feasible" --

13 MR. GILBERTSON: -- That -- that will be
14 the subject of flow negotiations during what we have been calling
15 the comparisons process. I don't know that decisions are going
16 to be made during that process, but that's going to be the subject
17 of discussion during that process, of looking at both habitat
18 and economic consequences of different flow scenarios.

19 MR. ROSENBERG: Okay. Maybe, you know, the
20 paper could just mention how these -- when this will be and how
21 this will be decided. Or what process, I mean, the process that
22 will decide feasibility.

23 Further along it does mention in here somewhere that there
24 will be a -- or will possibly be a testing of the feasibility
25 of the habitat modification, slough modification at some

REMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 appropriate time, and that's about all it states. On this flow
2 chart on Figure 1, Page 3, perhaps we could stick in there a little
3 box that has the testing of the plan. I think all of the agencies
4 think that that's an important point, if I may speak for everyone
5 at this time, that we'd like to see this whole slough modification
6 thing, if that's what we're -- the way we're going to go, be an
7 experiment done to test its actual workability. And the paper
8 doesn't define very well when and where -- when this will be done,
9 it leaves it rather vague. I'd like something a little bit more
10 concrete. And I'd like to see it in this mitigation plan develop-
11 ment and implementation figure. I guess that was on Page 2, para-
12 graph three, is what I'm referring to, I believe. (Pause) Well,
13 no, maybe it's not either. But it is in here.

14 And another comment on the preferred measures for mitiga-
15 tion. I know, okay, iii, third paragraph, "Within the impoundment
16 zones".

17 MR. THRALL: What page is that, Dan?

18 MR. ROSENBERG: I'm sorry, iii, small letters.

19 MR. THRALL: Oh, in the summary?

20 MR. ROSENBERG: In the summary, yes, that's
21 where I was confused. I think I was looking further back. The
22 third paragraph, fourth line -- it's the third -- fourth line,
23 "Thus, mitigation measures are focused on either artificial pro-
24 pagation, primarily of grayling, and stocking . . . provision
25 of public access . . . stream enhancement measures. . ." First

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 of all, I think that these should be ranked by the preferred alter-
2 native, and in your comments to us on the fish mitigation plan
3 -- let's see. You did do that -- you did do that, you did recog-
4 nize our preferred alternative as the latter two of those three.
5 Okay, artificial propogation of grayling is the least preferred
6 of the three, or the least -- it'll come into play after the other
7 two have been implemented.

8 Okay, now, thirdly, number three, stream enhancement mea-
9 sures in the middle and lower river basin that may make additional
10 habitat accessible to resident species. This is the first time
11 I've seen resident species; previously you've always discussed
12 salmon. And in your comments, you reiterate that, you mention
13 salmon. We mention salmon and you agree with us on salmon enhance-
14 ment downstream. And this paper keeps referring to the resident
15 species. So it's all very confusing at this point.

16 MR. BEYER: I guess I'd have to question,
17 would you be trading, then, resident species for salmon? I have
18 a little bit of difficulty here. If the option is there to
19 enhance potential resident --

20 MR. ROSENBERG: -- Yes, that -- that was
21 clear, I believe, in our comments on the fish mitigation plan,
22 out of kind mitigation for resident species by improving access
23 in the lower river, in the east side tributaries, and by enhancing
24 -- further enhancement of salmon habitat downstream. And that
25 was all recognized and accepted in your comments -- in your reply

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8691

1 to our comments.

2 MR. BEYER: We can change it to the same.

3 MR. THRALL: Speaking out of total ignorance,
4 is it not possible to say "accessible to resident and anadromous
5 species"?

6 MR. ROSENBERG: Oh, yes.

7 MR. THRALL: I mean, is that a technical
8 contradiction or anything?

9 MR. GILBERTSON: I was just going to say,
10 we could just make it both. Because one of the things that we're
11 going to look at is things like taking -- is eliminating passage
12 barriers on some of the tributaries, taking the passage barrier
13 out and it's going to open up habitat for both.

14 MR. ROSENBERG: Um-hm, that's fine. That's
15 fine. Let's see. (Pause) Just bear with me a minute, please,
16 if you would. I had the same on Page 9 under structural modifica-
17 tion, I just had the same question of feasibility as far as any-
18 body identified the cost of maintenance of this whole program
19 of structural modification?

20 MR. ARMINSKI: I think Larry did, didn't
21 he?

22 MR. ROSENBERG: So that's all been done?

23 MR. GILBERTSON: Yes, there was some --

24 MR. ROSENBERG: There's been economic fore-
25 casts of maintenance costs?

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. GILBERTSON: Right, there are some pre-
2 liminary cost numbers, I believe, in that fish mitigation plan
3 that we had the workshop on. And then this next version will
4 update some of those numbers, as I understand it.

5 MR. BEYER: Yes. I believe clear back in
6 the license application there was some original numbers on --
7 in a general sense of what maintenance would cost over the years.

8 MR. ROSENBERG: On Page 11, the first of
9 those -- let's see, under impoundment area, one, two -- the second
10 paragraph, "Impoundment mitigation options to compensate for lost
11 grayling habitat include", and it talks about recontouring of
12 borrow sites to develop ponds for planting of arctic grayling.
13 We have discussed that especially in reference to perhaps alle-
14 viating some of the pressures from construction workers fishing
15 along there. Especially with staging, the whole thing is extended
16 out over a longer period of time. But there is no discussion
17 here at all of that one, of just this whole recontouring of borrow
18 sites. It's not really discussed in reference to the project
19 itself.

20 MR. BEYER: Yes, the reason a lot of these
21 things don't go into a lot of detail in this particular paper
22 is because they're covered in other position papers. There's
23 -- I can't recall which number, but there's the impoundment fix,
24 F-5, and perhaps maybe the best thing for us to do is to refer
25 to that, maybe add a little bit here, but sort of keep it within

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 that other issue paper.

2 MR. ROSENBERG: It would be -- it would be
3 nice, actually, if in the future if we could start referencing
4 back and forth to all these papers, just because there's getting
5 to be so many of them now and it is -- it is getting to be a real
6 tracking problem.

7 MR. BEYER: Yes, in some instances we do
8 that throughout this one, but we'll -- we'll add something there
9 that references to the other.

10 MR. ROSENBERG: Yes, I know it had been --
11 it had been discussed before and I . . . And then just on that
12 same page, once more just mentions -- only mentions resident fish,
13 the very last line.

14 MR. THRALL: On that -- the first one about
15 the borrow ponds, is your interest there about wording to the
16 effect that you make these areas available to the construction
17 work force to alleviate fishing pressure on other areas? Is
18 that --

19 MR. ROSENBERG: Yes, we -- well, we discussed
20 the possibilities of if some borrow sites are used early on in
21 the project, whether they could be rehabilitated early on.

22 MR. THRALL: Could I just ask a question
23 here? We were up at the site the other day and we were looking,
24 there's a whole series of lakes up there, some of which I think
25 have no fish. I'm not sure, some do. But what about, say, taking

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 some of those naturally existing lakes and even over the summer
2 a put and take sort of trout fishery that is available to the
3 workers, what would the Fish & Game's thoughts be on that? Par-
4 ticularly in terms of whether there might be some small resident
5 population one of the lakes. Would you have a problem?

6 MR. ROSENBERG: No, I think -- I think the
7 ultimate -- I don't think so. I think the ultimate goal would
8 just be to alleviate fishing pressure on some of these lakes that
9 do have fairly good resident fish populations, rather than have
10 those overfished by workers, we might be able to mitigate that
11 by making -- you know, providing them with other areas that would
12 be both more accessible and satisfy whatever it is that they
13 desired as far as fishing goes. Without having to --

14 MR. SCORDELIS: How would -- How would Fish
15 & Game control, say, the natural populations? Would those lakes
16 be closed to fishing or would it be hook and release? What are
17 the options that you can use to steer people into these stocked
18 ponds?

19 MR. ROSENBERG: Well, now we're getting back
20 into regulation. There are options that could be used. The idea
21 is to first try to avoid having to go to those options, I believe,
22 if we can.

23 MR. SCORDELIS: Well, if you give people
24 a choice between fishing for nine-inch stocked rainbow and a 20-
25 inch grayling or a 20-pound lake trout, I know what choice I would

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 make.

2 MR. ROSENBERG: Yes.

3 MR. SCORDELIS: That would have to be taken
4 into consideration.

5 MR. ROSENBERG: I guess I don't -- I really
6 am not that familiar with the logistics up there, either of how
7 far people have to go from the construction camp to get to the
8 20-inch grayling versus the rainbow or what have you.

9 MR. LATTA: For the 20-pound lake trout it'd
10 probably be a ways.

11 MR. ROSENBERG: Whatever it was. I -- that
12 does need to be considered, I'm just not familiar with it to --
13 but the idea -- the idea that I'm just getting at now is if we
14 can alleviate some of that pressure, perhaps.

15 MR. THRALL: So using some of those lakes
16 up there to throw in a bunch of catchable sized trout and maybe
17 providing some incentive in terms of access for the workers to
18 go pull those out --

19 MR. ROSENBERG: -- Yes, that and perhaps --

20 MR. THRALL: -- would be something you'd
21 probably --

22 MR. ROSENBERG: Or in the borrow pit options
23 too.

24 MR. ARMINSKI: Does that require a license?

25 MR. ROSENBERG: What's that, fish in a borrow

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 pit?

2 MR. ARMINSKI: No, I mean to stock a lake.

3 I know it doesn't take a license, no. I mean, does that --

4 MR. ROSENBERG: I don't know. Do you know,

5 Bob?

6 MR. CLUPACH: If you're going to transfer
7 fish from one drainage to another, it goes through a whole gambit
8 of rules from the respective divisions of Fish & Game. Mainly
9 that -- the hold-ups would be the pathology aspects of -- which
10 we've discussed in other issues. But in those situations in lakes
11 that are just close by, I wouldn't expect to see too much problem
12 in transferring fish from one lake to another, especially right
13 there in that vicinity. You asked another question I forgot.

14 MR. ARMINSKI: That's really the only ques-
15 tion.

16 MR. THRALL: Would it be simpler for the
17 Power Authority to have an RSA from Fish & Game and let Fish &
18 Game do it?

19 MR. CLUPACH: Good question, I don't know.

20 MR. THRALL: Can you permit yourself more
21 easily than --?

22 MR. CLUPACH: Oh, I'm sure we could permit
23 ourselves.

24 MR. ARMINSKI: Any other comments?

25 MR. KUWADA: I had one comment here on Page 7

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8691

1 where it starts with "In summary, project flow regulation is con-
2 sidered the primary means to mitigate for with-project changes
3 in juvenile chinook and . . . for maintaining chum spawning and
4 egg incubation habitat". I haven't been involved in everything
5 that's gone on before this, but I was just wondering if this is
6 intended to indicate that the instream flow model relationships
7 report is going to focus primarily just on chinook and chum
8 spawning or if we're going to get an evaluation of the whole range
9 of species and life stages?

10 MR. BEYER: Do you want to answer that?

11 MR. GILBERTSON: The instream flow relation-
12 ships report?

13 MR. KUWADA: Yes, I thought that -- well,
14 we've got Volume I but it's pretty much -- you know, we don't
15 have the whole comprehensive analysis yet, and I don't know what
16 to expect, what's coming down the road. This would seem to indi-
17 cate that, you know, you're going to focus on these particular
18 species and life stages.

19 MR. GILBERTSON: Okay, our position has been
20 and our feeling is that those are the appropriate two fish to
21 -- and life stages to give primary consideration to, just because
22 of where they are when they're there. We see it as being probably
23 the most critical and most sensitive use of the mainstem affected
24 habitats and that was the rationale for doing that. But we are
25 going to cover the other species and the other life stages during

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 flow negotiations and the comparisons process. And we'll -- we
2 will be supplying documents to you, either in the form -- some
3 of it will be in the instream flow relationships report, even-
4 tually. There'll be other documents that will include some of
5 the other species and uses. Some of them -- some of that infor-
6 mation may just be in the form of memorandums, or maybe a little
7 more sophisticated than a memorandum, but maybe a species document
8 of some kind.

9 MR. KUWADA: Okay, so in terms of the instream
10 flow relationships report, you're saying that we will have some
11 type of comparative analysis for all the species, not just chinook
12 and chum and then memorandums for some others and -- I guess it's
13 hard for me to put together exactly what you're saying here.
14 Are we going to have one document that addresses all these species
15 and life stages in terms of flow?

16 MR. GILBERTSON: No.

17 MR. KUWADA: There's going to be just chum
18 and chinook?

19 MR. GILBERTSON: Well, the instream flow
20 relationships report did address the other species and life stages.
21 It did talk -- it presents them and it presents the rationale
22 as to why -- why we shouldn't be worried about coho spawning.
23 They don't spawn in the mainstem, so why do we need to have an
24 instream flow relationship, a flow versus habitat relationship
25 for coho spawning?

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. SCORDELIS: Larry, doesn't the report
2 go through the steps by which chum incubation and chinook -- juve-
3 nile chinook were selected as evaluation species? Why we can
4 center on these two species and not concentrate on sockeye, cohos
5 and pinks?

6 MR. GILBERTSON: Yes, it does go through
7 that rationale. I don't -- I hope there's no confusion here.
8 Has that -- If the agency people feel that we have -- we are in
9 error by saying that the best use of water is to protect chinook
10 rearing habitat, we'd like to hear about it. But the point --

11 MR. SMITH: -- No, I think we've agreed on
12 that, but it was our understanding that that analytical process
13 to back up or refine the flows that we have designed principally
14 for those two species and life history stages would be available,
15 that information would be available to us so that we could essen-
16 tially fine tune any flow if there was a change in rainbow trout
17 or whatever, that we would have comparable data at some future
18 date. And I guess that was going to -- I assumed it was going
19 to be part of the next version of the -- Woody's work of the
20 relationship report, Volume II, and it would come in the -- I
21 lost track of the -- what we're calling the various reports, but
22 the comparisons report would allow that type of information.

23 MR. HOSKINS: Are you telling us now there
24 won't be a Volume II?

25 MR. GILBERTSON: No. No, I'm not telling

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 you that.

2 MR. HOSKINS: Are you telling us there will
3 be a Volume II?

4 MR. GILBERTSON: Yes, if there's reason for
5 a Volume II, yes.

6 MR. HOSKINS: Now this is quite a shift in
7 what we've been hearing up to this point. Because even when we
8 got Volume I here two or three months ago -- it wasn't that long
9 ago, of Woody's report, we were told then that there would be
10 a Volume II that goes into more detail. As Brad says, it develops
11 sequentially how you arrive at a Case 6 recommendation. And now
12 it's almost a matter of a Case 6 recommendation is here and it's
13 working backwards to support it, to make these evaluations.

14 MR. GILBERTSON: No, I -- if you want --
15 there will be additional documents come out. The -- I suppose
16 that we could take all this information that we planned on giving
17 you and put it between two pieces of paper and call it the IFRR
18 report, Volume II. And I'm not being facetious. We may -- we
19 may put out an IFRR's Volume II, but we're not sure that there's
20 a reason to do that. And all this information that we promised
21 would be contained in the instream flow relationships Volume II
22 we're going to provide you. The flow versus habitat information
23 for chinook rearing, chum spawning, sockeye spawning. All these
24 species and habitat uses for which those kinds of relationships
25 are appropriate, we're going to provide it. And we're going to

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 provide any information we need on some of the other parameters
2 that we've talked about, how to evaluate temperature, turbidity,
3 gas supersaturation, these things.

4 MR. HOSKINS: Primary productivity.

5 MR. GILBERTSON: Primary productivity.

6 MR. SMITH: And whether you call that Volume
7 II of the IFRR or not doesn't matter, but we are going to require
8 something to support the F-1 discussions, the flow negotiations,
9 something like the -- what the comparisons report was to have
10 been, or is going to be. Are we still getting the comparisons
11 report, or that won't actually be a report, as such, it'll be
12 just a series of meetings now?

13 MR. GILBERTSON: The comparisons -- the com-
14 parisons report will be a report documenting what went on in the
15 comparisons process. And that's where I see all this information
16 being brought together into a report to document how -- what was
17 used in the flow negotiations and how that flow as negotiated.

18 MR. HOSKINS: When is -- when do you antici-
19 pate this F-1 paper to be available? Are you just going to wait
20 entirely until you get all the information you need for the three-
21 stage and then just address it then?

22 MR. GILBERTSON: I believe the F-1 paper
23 is scheduled to come out now toward the end of June. Do you
24 remember, Jack, what the latest decision was on that?

25 MR. ROBINSON: On Position Paper F-1?

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. GILBERTSON: F-1, yes.

2 MR. ROBINSON: I think that's one of the
3 ones where we have to take a look and see how staging's going
4 to --

5 MR. GILBERTSON: -- Well, staging's going
6 to affect it. I'm sorry, we -- that was part of a discussion
7 yesterday about the timing on that, and I forgot what the author
8 finally decided would be an appropriate date. But this F-1 posi-
9 tion paper is not going to be a -- Given the status of the flow
10 negotiations process that we have, the agency consultation process
11 that we have going on right now on flow, that position paper can't
12 really go too far beyond just describing the situation that we're,
13 or the status of that process, and maybe laying out where we plan
14 to go from here.

15 MR. SMITH: It sounds like it's going to
16 be important for the discussion in that paper to reassure the
17 agencies that the process hasn't been abbreviated because we've
18 agreed that the principal evaluation species should be juvenile
19 chinook and chum spawning. There will be an analysis of the other
20 species that will go along with that. Maybe it will be simply
21 a discussion, like your point on coho salmon, or maybe it will
22 maybe an analysis that isn't quite as intensive as it is for the
23 two evaluation species. But that there will -- we're not going
24 to just make the jump and say, okay, all we have to worry about
25 now are these two species, and then we just discuss away the rest

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 of them.

2 MR. GILBERTSON: Well, what I intend to
3 have people start working on, and I don't think these would take
4 a long time to put together, and so we should have them available
5 reasonably early in the summer, is a set of documents -- a set
6 of small reports or memorandums, whichever they turn out to be,
7 taking each species and -- For instance, taking coho salmon and
8 describing what we have learned about coho salmon in the Susitna
9 River, put up the flags where there is a potential conflict
10 between coho salmon habitat and the project, and then recommend
11 the method that we would use doing comparisons to assess impacts
12 on coho salmon due to the project.

13 MR. SMITH: At one time I think that was
14 going to be called the comprehensive fisheries report, Fish &
15 Game, or at least it sound a lot like that, and then that was
16 dropped. Is that -- Do you recall that?

17 MR. GILBERTSON: No, it really --

18 MR. HOSKINS: Larry, here on Page 10 it says
19 "A full discussion on the issue of potential impacts due to
20 altered flows is described in Position Paper 1". I guess this
21 is what I was thinking, a full discussion of what the impacts
22 will be on this three stage type thing, and I don't think you
23 can get it ready by, what'd you say, first of June or something
24 like that?

25 MR. SMITH: Put "potential fishery impacts"

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 in there too.

2 MR. ROSENBERG: I'm just --

3 MR. GILBERTSON: -- If --

4 MR. ROSENBERG: Sorry.

5 MR. GILBERTSON: If what you're looking for
6 in Position Paper F-1 is a detailed impact assessment for all
7 species and all life stages, then we can't prepare that position
8 paper probably until about September or October. Because we don't
9 have the habitat versus flow relationships yet from the instream
10 flow work. I mean, those people are in the -- carrying on the
11 activities right now to prepare those things, and we don't anti-
12 cipate having their final version of those flow versus habitat
13 relationships until around the first of September, something like
14 that. So if you -- I guess to some extent it depends on what
15 you want in that position paper. Because we weren't going to
16 have those tools a full impact assessment on all species and all
17 live stages, that sort of thing, our approach to this position
18 paper was just to describe the process of the flow negotiation,
19 where we're at, the fact that right now the Power Authority's
20 position is Case E-6 is the best set of flow constraints, and,
21 you know, giving -- giving the rationale for that and then des-
22 cribing where we're at in the flow negotiation process and where
23 we're going to go.

24 MR. ROSENBERG: Yes, if these position papers
25 are intended to be a summary of the issue, the issue was -- of

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 course the issue is the flow, and we were all under the impression
2 that there was going to be Volume II of the instream flow rela-
3 tionships report. We've had -- you know, the evolution of -- I
4 guess I don't understand the evolution of the whole thought pro-
5 cess from where we at one time were going to have an instream
6 flow relationships report and the economic and environmental com-
7 parisons report that was going to give us all this information
8 that we've just been talking about. And of course we agreed to
9 the thought that, well, first we'll get Volume I of the IFRR
10 report, and then of course then we'll see Volume II of the IFRR
11 report. Now all of a sudden --

12 MR. GILBERTSON: Well, one of the reasons --

13 MR. ROSENBERG: -- this whole thing has come
14 up and it's totally out of the blue.

15 MR. GILBERTSON: Maybe we should have a
16 meeting at another time to --

17 MR. ROSENBERG: -- Yes --

18 MR. GILBERTSON: -- discuss this in more
19 detail, because I think you're -- I don't think there's a problem,
20 I think it's just we've called something a one volume IFRR for
21 a long time and now I'm going to provide you the same information
22 but in smaller pieces. But one of the reasons for that, talking
23 about the evolution of the process, is that as we had originally
24 had this whole thing planned out, we -- agency interaction in
25 the process was pretty much darted in certain places along the

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 ball and arrow chart, if you remember right. We were going to
2 do an economic environmental comparisons report and then hand
3 it to, and let you review it and this sorts of thing -- this sort
4 of thing. Now, what we have done is try to bring the agency people
5 into the process all the way along, all right, so the agency peo-
6 ple are actually part of the comparisons process, part of the
7 history that will go into the document, and perhaps even part
8 of writing the document. And so because of those changes, the
9 increased emphasis on agency consultation in those things is just,
10 I think, more effective and more efficient and it makes more sense
11 to keep giving you these pieces -- these things in smaller pieces
12 instead of waiting 'til we go through our whole analysis, pull
13 everything together, you know, put two pieces of paper around
14 it and give it a name and then hand it to you and let you review
15 it. I would rather have you going over the components and going
16 through the process that will eventually be reported in those
17 documents. That's --

18 MR. ROSENBERG: Yes, well, we appreciate
19 being involved in the process.

20 MR. GILBERTSON: But that's the reason why
21 some of these things have changed.

22 MR. ROSENBERG: I understand how some of
23 these things may have changed, but as part of our involvement
24 in the process we were all led to believe that this is how the
25 process was going to go. And if you want to change the process,

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8691

1 that's fine, it's just that we should be involved in these changes
2 and it just sort of came up out of the blue.

3 MR. GILBERTSON: The process hasn't changed.
4 As of right now there is still planned an instream flow relation-
5 ships Volume II.

6 MR. SMITH: I think the meeting is a
7 good idea, just to get us back -- Like you say, I think it's likely
8 we don't have a problem with this stuff and it's just there are
9 some internal changes going on that -- that we're picking up as
10 being more significant than they might be about what actually
11 the Volume II of the relationship report is going to be. I think
12 both F-11, certainly F-1 and F-10 are all going to be changed
13 so severely by the stage development that I'm not sure what real
14 benefit we're achieving today in discussing them. Even something
15 as basic as the primary evaluation species, I'm not so sure that
16 those would remain constant if there's significant changes brought
17 on by the stage development. One thing we're going to look for,
18 I think, in the F-1 is a separate discussion of each stage of
19 the stage development, and assuming that we might have to live
20 with that for a longer period than is currently being planned,
21 a full analysis of just the Little Watana alone, a full analysis
22 of the Little Watana and Devil Canyon and a full analysis of the
23 ultimate capacity. It just seems reasonable that to generate
24 a certain amount of energy with a lower head dam you're going
25 to have to release more water, and possibly a lot more water,

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 which seems like you would have trouble maintaining any flow that
2 you're talking about under the current scenario. And while right
3 now because of the influence of the mainstem the primary evalua-
4 tion species tend to make sense, if these new flows look like
5 there's nothing we can do to support those, then maybe we should
6 be looking at possibly some evaluation species that may not be
7 there right now, or may have minimal association with the mainstem.
8 I don't know, but -- And I'm sure that that type of analysis hasn't
9 gone on and won't go on for a couple months. So I don't know
10 how far -- I hate to throw water on the whole meeting, but I don't
11 know how far we can go on these things.

12 MR. THRALL: Well, some of that analysis
13 has gone on in a preliminary way and is continuing on. But, again
14 you know, the only observation on all this that I can make is
15 -- well, two observations. One is we are in a state of flux right
16 now, and we -- you know, we'd like it better if we weren't, I'm
17 sure the Power Authority would like it better if we weren't, and
18 I'm sure you would like it better if we weren't, but we are with
19 staging, it's going to cause some disruptions. And the other
20 thing is that this whole instream flow approach is -- you know,
21 planning by committee is never neat and efficient. But that's
22 what we're in, and we're trying to -- we think that that's good.
23 In the end, it's going to be good, but it's going to be messy.
24 Certainly there are sometimes appearances that we're -- we're
25 not announcing things, you know, with enough foresight in how

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 our thinking changes, but when you're, you know, standing in the
2 middle trying to dance fifty different ways it gets -- it gets
3 confusing.

4 MR. BEYER: I think you're right, Brad, in
5 that a lot of these things have to be re-examined and everything,
6 but there's a lot of things in mitigation that aren't going to
7 change an awful lot with three-stage mitigation. I mean, the
8 primary goal in the mitigation plan for the Power Authority down-
9 stream of the project is useful. And then you have -- the pro-
10 cess, I guess, is there, and that's the key thing you can't just
11 scrap. So not all is lost by discussing it. The cone valves
12 probably won't go away, the multilevel intakes won't go away,
13 the impoundment mitigations we're talking about are not going
14 to change an awful lot. And certainly if you have comments on
15 those things, like, you know, Dan has had, or whatever, continue
16 to ask them, because three-stage development won't change an awful
17 lot of those.

18 MR. SMITH: I don't even -- you know, I think
19 that you just -- your ability to make that statement means that
20 you're -- you're privy to some information that we don't have,
21 or I don't understand exactly what the engineering considerations
22 are for the stage development. I -- you mentioned there's no
23 change in the cone valves, but it seems to me like there might
24 be a lot of change in what the project flood these things can
25 handle then. So, you know, there are some changes --or maybe

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 there aren't, if the design flood hasn't changed.

2 MR. BEYER: Yes, and a lot of those things
3 are in, I'd say, the preliminary stage of analysis. And right
4 now we are going back through and asking, well, is the design
5 still for one 50-year flood, to hold that back, and as a biolo-
6 gist I'm asking, are your cone valves in the same place, you know,
7 and what is your multilevel intakes going to do. So those are
8 re-examined, but some of the basic things of leaving out -- or,
9 trying to avoid supersaturation are still there, and still
10 priorities.

11 MR. THRALL: Again, we are in this analysis
12 and we haven't told you what those results are because we're doing
13 it, and I don't think it's -- would be good of us to go to you
14 right now and say, "okay, we've done an analysis on flow and we've
15 found this" when we're -- you know, we've only done a preliminary
16 analysis, and then come back to you a month later and say, "Oh,
17 by the way, forget what we told you last month about this analysis
18 what we now know is this", and then a month later tell you some-
19 thing different. And as soon as we get to the point of where
20 we know what we're talking about with a little bit of certainty --

21 MR. SMITH: -- No, I didn't mean to imply
22 that you guys are keeping us in the dark or anything like that.
23 It's just that it's hard for us to talk about which things aren't
24 going to be appreciably affected and which things are going to
25 be affected by the stage development at this point because we

REMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 we don't know.

2 MR. THRALL: But I don't think going through
3 this and getting your comments is at all a waste even if there
4 were some major changes, because I think we're discussing some
5 issues in here that would be applicable to pretty much any kind
6 of a project on the Susitna River. I think the sort of things
7 we're talking about are philosophical to some degree, and telling
8 us what we need to do in terms of including all the species, for
9 example, and how you see that right now, whether we're doing that
10 right or not. I think we're learning -- mutually learning a lot
11 of things by this discussion.

12 MR. ARMINSKI: Why don't we move on and talk
13 about this further later? Are there any more comments on this
14 paper specifically?

15 MR. ROSENBERG: No, just that, Larry, you'll
16 set up a meeting then?

17 MR. GILBERTSON: Sure.

18 MR. GRANATA: Would you include us in that
19 also?

20 MR. GILBERTSON: Absolutely.

21 MR. HOSKINS: Don, you've got a reference
22 in here, "Proposed mitigation measures for potential construction
23 impacts will be described in the report to be issued in the spring
24 of 1985". And evidently that's one that Woodward Clyde (ph) or
25 Entrix (ph) or something like that's working on or -- what's the

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 status of that?

2 MR. BEYER: It's going to be very late spring

3 MR. LATTA: Already is.

4 MR. BEYER: Yes. As of probably the last
5 few days, I would say, we're looking into sometime next month.
6 The problem -- the problem here is that we're now -- When this
7 came out, then three-stage development came along, and now we're
8 re-examining that plan to see how it might change.

9 MR. HOSKINS: Okay, so this mitigation plan
10 right here will likely not be released to the agencies until it
11 incorporates the three stages?

12 MR. BEYER: Right. Because then we just
13 have to come back and do it again, so --

14 MR. HOSKINS: Yes, okay.

15 MR. ARMINSKI: Anything else? Okay, the
16 last two papers are -- relate to air quality issues. AQ-1 is
17 the significance of ambient air quality impacts during project
18 construction, AQ-2 is the formulation and implementation of air
19 quality mitigation measures. The air quality of the project area
20 right now is well within the air quality standards, and we believe
21 that it can be maintained -- the air quality standards can be
22 maintained during the construction of the project and there won't
23 be any significant impacts related to that. Jim, are you going
24 to --

25 MR. WILDER: Sure. Let me just emphasize

GEMINI

Reporting Services
943 West 8th, Suite 110
Anchorage, Alaska 99501
277-8591

1 what you just said. Again, the Alaska Power Authority is working
2 right now with the lead agency, the Department of Environmental
3 Conservation, to document that indeed there will be no adverse
4 air quality impacts. The position paper we have here does describe
5 the applicable regulations the Power Authority is going to be
6 complying with, the mitigation measures that they will be employing
7 to insure that those regulations are followed. The permitting
8 itself that the Power Authority will be subject to is pretty much
9 up in the air even at this stage. There are several levels of
10 air quality permitting that apply in the state of Alaska. The
11 level of detail that's required depends on the level of emissions
12 the project generates. And at this state, since there is no real
13 hard fast engineering plan, the level of emissions haven't been
14 established, therefore even the permitting process hasn't exactly
15 been established. As far as mitigation measures are concerned,
16 a lot of the mitigation measures for air quality are either just
17 good common sense engineering practices, and in a lot of cases
18 they're the most cost-effective engineering practices, and in
19 almost all cases, just by good luck, they're also mitigation mea-
20 sures that do reduce siltation and sedimentation that have a lot
21 of impacts on fisheries and wildlife.

22 So, in summary, if the Power Authority just follows good
23 common sense, they will, you know, reduce impacts on a lot of
24 other issues other than air quality.

25 MR. HOSKINS: They won't build the project.

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 MR. ARMINSKI: Any comments?

2 MR. HOSKINS: On Page 6, Jim, on the third
3 bullet down, the statement is "Analysis of 'effect' on visibility,
4 vegetation and soils". Does that mean that the Power Authority
5 is going to develop a monitoring program to do these -- make these
6 analyses, or what -- what does the statement mean?

7 MR. WILDER: Okay, again, depending on the
8 level of permitting that DEC requires, they may require either
9 some predictive analyses to show that there will be no adverse
10 effect on visibility, deposition of dust on the vegetation, et
11 cetera. At DEC's discretion they may or may not require construc-
12 tion monitoring of air quality. A lot depends on, again, what
13 the engineering plans show will be the magnitude of the emissions,
14 which has not yet been done.

15 MR. ROSENBERG: I don't have any comment.

16 MR. GRANATA: The only comment that --

17 MR. ARMINSKI: I guess I told -- I told Jack
18 I was going to represent DEC's position there, so . . .

19 MR. HOSKINS: Where's the rubber stamp?

20 MR. ROSENBERG: Where's DEC?

21 MR. GRANATA: Well, the only comment would
22 be on the fugitive dust emissions and any kind of plan to control
23 that in terms of using water.

24 MR. WILDER: Yes, the -- there are several
25 ways to reduce fugitive emissions. I think probably the preferred

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

1 method, like I hinted at earlier, is to just adjust the construc-
2 tion practices to minimize exposed surfaces, et cetera. It'll
3 just minimize fugitive dust from wind in addition to surface
4 runoff. It may or may not be required that -- well, adding water
5 to haul roads almost certainly will be done. In most cases the
6 amount of water that's added to the haul road is a lot less than
7 what is added in the rest of the process. So there won't be a
8 real impact on water use from haul road watering. In extreme
9 cases it may be required that some chemical additives may be added
10 to haul roads. In most cases these are nonwater soluble, they
11 will not enter streams or rivers. But the specific methods for
12 reducing fugitive dust clearly depend on the engineering plan.
13 And at this date the contractor's not develop anything so all
14 we can talk is generic terms. So the specific methods for redu-
15 cing fugitive dust will be part of the DEC permits and will be
16 included as part of the contract documents with the contractor.

17 MR. GRANATA: Keeping in mind also any tem-
18 porary water use permits for -- it would depend on how much water
19 you need and where you're taking it from.

20 MR. WILDER: That's true. Yes, the source
21 of the water would have to be defined. In no cases would water
22 added for fugitive dust control run off. That's just really over-
23 kill. It wouldn't be done.

24 MR. ARMINSKI: Other comments? Okay, thank
25 you for coming, and your comments. We'll see you next time.

END OF PROCEEDINGS

GEMINI

Reporting Services
943 West 6th, Suite 110
Anchorage, Alaska 99501
277-8591

MEMORANDUM

DEPARTMENT OF NATURAL RESOURCES

State of Alaska

DIVISION OF GEOLOGICAL AND

GEOPHYSICAL SURVEYS

TO: Leroy Latta
Project Manager

DATE: May 15, 1985

FILE NO: 85-5A

THRU: Merlin Wibbenmeyer, Deputy Chief
Resource Analysis Section

TELEPHONE NO: 786-2164

FROM: Bill Petrik
Geology Assistant

SUBJECT: Sustina Hydro Settlement
Process Position Papers
AQ-1,2,F-10,11,S-7,8

ENGINEERING GEOLOGY

F-10: In concurrence
Others: No jurisdiction

CONTRIBUTOR: Randy Updike
Engineering Geologist

WATER RESOURCES

Surface Water:

F-10 Downstream erosion and/or sedimentation could result from instream work (e.g.-dredging); the effects on the hydrologic regime are not addressed.

F-11 If best management practices are followed and adhered to, the structural modifications and construction impacts should be minimal. However, if a large number of sloughs are affected and the BMP are loosely followed then the hydrologic regime could be altered enough to cause subsequent erosion and/or deposition, channel changes and sedimentation. A detailed review of the plans and BMP is beyond the scope of this LDR.

Ground Water:

F-10 The F-10 issue is the only one in which groundwater is mentioned (p.21) or in which the impact potential is relevant with respect to groundwater. I recall having reviewed APA's BMPM on "water supply", and if it has not been expanded (and improved) and rerouted through DGGs, it should be.

F-11 Ground water mentioned only on p.9. The statement "mechanical excavations of sloughs can be used to ...maintain the amount of groundwater upwelling" is potentially misleading and technically inaccurate. Where groundwater is moving upward and discharges into sloughs, the water level in a slough may be a function (or reflection) of the pressure head in the aquifer. The head may drop significantly during Winter months or as a result

of droughts. In such cases, deepening of the slough may assure a minimum depth of water in it, but the flow (discharge rate) of groundwater into it does not necessarily remain constant. Thus, the word "maintain" is inappropriate.

Water Quality:

F-10 Increased turbidity and sediment load during clearwater flows, especially in late autumn, could affect the behavior of rearing juvenile salmon and resident fish in the mainstream.

F-11 Is groundwater upwelling in sloughs the result of resurfacing mainstream river flow, groundwater aquifer flow, or a combination of the two? If upwelling is primarily dependent on the mainstream river flow regime, water quality and quantity in sloughs may be affected.

CONTRIBUTOR: Water Resources Section

BP/mw

